

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20763 • (301) 439 - 5600

25
24
23
22
21
20
19
18
17
16
15
14
13
12
11
10
9
8
7
6

(TRANSCRIPT OF A TAPE RECORDING)

--)

JULY 28, 1971

GENE MATRANGA
Interview with

NATIONAL AERONAUTICS AND SPACE ADMINISTRATION

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

MR. ERTEL: This is an interview with Gene Matranga at Flight Research Center on July 28th, I guess, on what he remembers about the ^{LL}ARV and all the sweat, blood, fire --

MR. MATRANGA: My memory is mostly written down on pieces of paper, I may have to call on *that* now and then,

MR. ERTEL: According to Ken (Lavent) some people out here at Bell were talking about something like the ^{LL}ARV in Late '61, and they found out when they had something on paper, *was missing* ~~lists missing~~ ^[Ken Savin] got in touch with ~~Lavent~~ and asked him to come out and bring what he had, get to thinking and see how your thoughts matched.

Were you in the program that early?

MR. MATRANGA: Yes, in fact, we got started thinking about the problem in the summer of 1961. An ad hoc committee was formed to see what we could do that rebated to lunar landing.

We felt ourselves some kind of experts in the terms of landing, based on the ^{L over D}~~lower level de-landing~~ work we had done particularly as related to X-15.

And we felt we should extend this expertise into the area of lunar landing, so the ad hoc committee was formed at the inkling or questioning, I might say, of ^[Hubert]Jake Drake, who pretty well was coordinating and thinking about our long rang research efforts out here.

1 So we formed a committee at Jake's insistence and
2 we came up with a number of recommendations for looking at
3 manned lunar landing.

4 At the time, there was, the official NASA policy was
5 that the whole command module would go on down to the moon,
6 and Drake, I guess, could see the handwriting on the wall and
7 decided, "Well, we ought to be thinking more about a LEM
8 type vehicle breaking off from the main system and going on
9 down."

10 Anyway, the findings of the committee said, essentially,
11 that we should look at this satellite type vehicle for going
12 on down, It should be manned. We should be able to simulate
13 five-sixths of the earth's gravity through some other form of
14 propulsion device and have rockets to duplicate the sort of
15 thing you'd expect the spacecraft to do,

16 The findings of that committee were typed up and
17 given back to the Director, I guess it was. Probably September,
18 August or September of 1961.

19 The formal group was set up -- the very nucleus
20 of the group, I guess you'd say -- under Wes ^M Messing in
21 November of 1961.

22 We talked to Johnny Disher who was heading up the
23 office and headquarters at the time. And I think he's the one
24 that put us onto Bell.

25 MR. ERTEL: Yes.

1 MR. MATRANGA: Apparently Ken ^{Sevin} Lavent^{E L} and company had
2 talked to Bell -- had talked to him at Headquarters a week or
3 two earlier, and it sounded like their approach was just
4 exactly what we had been talking about.

5 And Bell came out here just before Christmas, as I
6 recall -- it was late December. And we initiated a study con-
7 tract with them to run for three months. It ran from the
8 beginning of January through the end of March.

9 And this looked at the feasibility of the whole
10 concept.

11 MR. ERTEL: I have a copy of that,

12 MR. MATRANGA: Okay.

13 MR. ERTEL: A portion of it,

14 MR. MATRANGA: We then went through the battle of
15 trying to find money to finance the project; Don Bellman, by
16 that time, had been appointed program Manager since Wes
17 Messing had left to go down to White Sands.

18 In fact, Wes left late December, early January -- I
19 don't recall. really, but just as we were getting off the
20 ground. So Don Bellman was brought in as Project Manager and
21 I guess I had the title of *Project Engineer*, or something like
22 that.

23 We played the money game, We went down and talked
24 to the people at Houston -- had very strong support from
25 Walt Williams, who was the Assistant Director down there and

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1 from Dick Day, who worked under Warren North in the flight
2 crew division.

3 We got mixed reaction among the astronauts. Most of
4 them seemed to be pretty open-minded about the whole thing,
5 Max Paget, who was quite skeptical, and -- I'm trying to think
6 who the Apollo Program Manager was at the time; he was a fellow
7 who had come from Convair.

8 MR. ERTEL: Charlie Prick.

9 MR. MATRANGA: Charlie Prick. That's right. He was
10 very much opposed to it. He didn't see any particular
11 advantage to it at all,

12 In any case, we got to the point where right at the
13 middle of the summer, July or August, that time period, we
14 had our money about two inches from our fingers.

15 And all of a sudden, it got pulled back, We
16 sweated again for a while. Finally got the money released.
17 *Wayne Altinger* : That was the mail box drop. (Inaudible)
18 apparently the -- he had the contract signed by the Govern-
19 ment, ready to go at the ring of the bell, was ready to drop
20 it in the mailbox as he was walking out the door, --

21 MR. MATRANGA: On a Friday afternoon, if I recall,
22 correctly.

23 *Altinger* : And had he dropped that, we would have
24 had a contract and seen off and running in September.

25 *Altinger* : A little action and ready to go in

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • GANGLEY PARK, MARYLAND 20783 • (301) 439-5600

Buffalo.

MR. ERTEL: Who was this?

Ottinger : ~~(Bowling)~~ *Boling*;

It was In Washington and they got all this paperwork -- but then somebody caught it, Somebody caught him in the hall or something as he was ready to mail this thing, and he said, "We just got a new directive. If the thing hasn't been mailed, don't mail it," and we had to wait until when? February?

MR. MATRANGA: It was January --

Ottinger : January, February, '62. So we wound up with about five months delay because the thing hadn't been dropped in the mail.

MR. ERTEL: Oh, boy.

MR. MATRANGA: Our angel in the whole thing really turned out to be Bob Seamans. He was pushing for this against some of the opposition at Houston.

I recall the Houston -- the money apparently was allocated in the budget, but ^{[Wesley] Njornenik} ~~(Yarnovitel)~~ and some of the money managers down at Houston really weren't convinced that they wanted to utilize the money where it had been budgeted.

And finally, I guess Seamans just said, "Get off the dime and let's get this thing moving."

Ottinger : Wasn't OART trying to get money out of them?

1 MR. MATRANGA: We tried to get money out of them,
2 and their attitude on the whole thing was they had funded the
3 LLRF at Langley, and they could not see funding two similar
4 projects, because they felt that was the real research tool
5 that OART would use and then LLRV would be more a pilot train:
6 device than a research vehicle, as suck.

7 MR. ERTEL: I heard the story somewhere else, and
8 they said the money should come out of manned space flight
9 funding.

10 MR. MATRANGA: Right. Right. And that -- and it
11 was budgeted accordingly. ^{And ultimately} ~~Also~~, it was released. Anyway,
12 as you indicated, Wayne, money did become available in early
13 1962, and we did get the contract written with Bell and the
14 original dollar value, as I recall, was almost -- was it 4,
15 point, 3?

16 I think that's what it went up to, but I don't think
17 the original contract --

18 MR. ERTEL: A Little less than 4, I think,

19 MR. MATRANGA: A little less, okay. Something like
20 that. Wayne went back to Bell as in-plant representative of
21 NASA so that he could live with the machine and its detailed
22 design and fabrication, and also so he could apply his
23 expertise in rocket systems, which ^{he learned} on the X-15, I guess it was

24 And make sure that the machine met our standards of
25 safety. We had had a number of technical disagreements with

1 Bell, over how things should be done. Bell was not as -- I
 2 guess I'd say careful -- maybe that's not the right choice of
 3 words, but they had a different philosophy ^{of} of how some things
 4 should be done.

5 And we thought those things were not in line with
 6 things that we felt should be safety-wise.

7 We had a design review at the -- what was supposed
 8 to be the 90 percent drawing release time, and that was in
 9 June of that year. Remember we had quite an entourage that
 10 went back to Bell for the design review.

11 Recall Warren North being there? As I recall, ^{Deke} ~~Dean~~
 12 ^{Slayton} ~~(Trotton)~~ was there. I know Dick Day was there in Houston.
 13 Neal Armstrong was there representing the Flight Research
 14 Center as their project pilot, which is kind of interesting.

15 He was designated as the Project Pilot when the
 16 group was set up. Of course, before it was delivered, he --

17 MR. ERTEL: Along came September, and he --

18 MR. MATRANGA: Moved on down to Houston in a differ-
 19 ent capacity.

20 Let's see. Vehicles were pretty well put together
 21 and went into some ground testing back at Bell in the spring
 22 of '63, I guess it was.

23 ^{Ottlinger} : It was about (inaudible) 1964.

24 MR. MATRANGA: Was it '64? Okay. April, '64. The
 25 first vehicle was delivered, as you say, in April. It was

1 delivered in pieces, We had the main frame; we had the legs,
2 We just packed it up 'in a moving van and brought it back,

3 The second vehicle followed about a month later, in
4 smaller parts. And the reason for the parts then was Bell got
5 into money trouble; they were obviously over-running the
6 contract, and we decided -- we put a ceiling on the contract,
7 and what they didn't finish, we would finish out here.

8 So vehicles were delivered out here. We had a
9 contingent of eight or ten Bell people that came out with the
10 machine, helped us in the final assembly and the check out.

11 Again, we had another pre-flight ^{DEI}~~DEI~~, and I recall
12 (Inaudible), Warren North being out here for that, They
13 made a number of recommendations, which were incorporated in
14 the vehicle.

15 We made ground runs. We made runs on two different
16 fixtures that we computed to exercise all the systems on the
17 ground. And Chris White was -- covered everything.

18 It was the day before Halloween, I know.

19 : (Inaudible,)

20 MR. MATRANGA: That's right, We only got about
21 six or eight feet in the air on the first flight. We had
22 testers on the thing; I remember that.

23 MR. ERTEL: (Inaudible,) flight plan, eight or ten
24 feet above the ground. (Inaudible) station. I was down there --

25 MR. MATRANGA: No, I was (inaudible).

76 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

True copy up

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

MR. ERTEL: Someone else was in on that too,

MR. MATRANGA: I don't recall it. We got somebody up there though. I'm sure we did. (Inaudible), we ran that relay (inaudible).

We could see the (inaudible) of the rockets and it was very obvious that it was not performing as it should because it was a perilous situation.

(Inaudible),

I'd never get up enough guts to do a thing like that.

: (Inaudible,)

MR. MATRANGA: (Inaudible) in the beginning, and I remember he lifted it up when he was having a test of it, and there was 3 or 4 hundred mile and hour wind blowing, and he decided to scale (inaudible).

The first flight as you say, went eight, ten feet in the air. He went progressively higher on the next two or three flights. (Inaudible.)

(Inaudible Discussion.)

MR. MATRANGA: Five or six of these rockets -- (inaudible).

(Inaudible discussion.)

MR. ERTEL: Now we're back on.

MR. MATRANGA: Okay, let's see where we are.

Okay, the next thing we looked at was the displays,

Five see Hampshire - left forked up

1 as **they** related to ^{LEM} ~~Landruff~~, And along about that time,
 2 we checked out a third pilot in the machine, Colonel ^{Cloover} (Kluver),
 3 Jack Kluver of the Army, who was assigned to the Center.

4 It would be interesting to get his comments on the
 5 machine. He had spent a great deal of time in helicopters
 6 with the Army. We had flown the variable ^{stability} (Stagordy) X-14, a
 7 plane that Bell had built for the Ames Research Center,

8 He had flown chase on a great number of our flights
 9 in the helicopter, and was extremely skeptical of the kind of
 10 pilot comments, pilot ratings, that were being given to the
 11 control system.

12 He just didn't know of any VTOL machines that he
 13 had ever flown that had the kind of good pilot ratings that
 14 both Joe Walker and Bob Malek were giving to the control
 15 system on the machine.

16 So he was extremely anxious to get in the cockpit
 17 and fly it and see if they really knew what they were talking
 18 about.

19 ~~Other : (Inaudible).~~

20 MR. MATRANGA: Yes, he had to knock off a few
 21 pounds because he was up in excess of 200 pounds, and that
 22 required a great deal of ballast on the bark end of the machine
 23 to counter-balance.

24 Of course, on a hot day, we had trouble getting off
 25 the ground. Fortunately, he checked out in December of '64.

2 *Ottenger* : (Inaudible.) to get really into the
hot summer day take-offs, To get the gasses away so we would ingest.

MR. MATRANGA: We were limited to about -- with the original engine, to something on the order of less than 90 degrees of having the temperature.

7 *Ertel* : Yes.

8 MR. MATRANGA: And we ultimately got that up to
9 close to 100 degrees, by the time the program was over.

10 *Ottenger* : (Inaudible.)

11 MR. MATRANGA: That's right. In the summertime.

12 Okay, after we got Jack on board, after we had
13 looked at the different displays, we also put in cur (side
14 arm) controller, which we had fabricated --

15 *Ottenger* : Gemini.

16 MR. MATRANGA: -- modified. It was off the
17 Gemini-8, yes. That was the one that Neil Armstrong had had
18 trouble with on Gemini-8.

19 And Bob (Ballard) down in our machine shop re-
20 configured the whole thing, putting in sink grooves instead
21 of (potentiometers). Or was it the other way around? Probably
22 the other way around.

23 And putting in redundancy, so that we had dual
24 sensors everywhere.

25

1 MR. MATRANGA: We (flew) that through that, so we
2 moved the pedestal, the instrument panel, from between his
3 legs in front of him over to the right hand side, as it would
4 be in line.

5 And then put in the side arm controller, so that
6 he had the same relative position from his eyesight to the
7 instrument panel as the ^{astronauts would have in the LEM} ~~(inaudible)~~.

8 And he had the same altitude control stick, with
9 three access sticks.

10 *Ollinger*: (Inaudible.) RV-2?

11 MR. MATRANGA: Two was the first one that we put
12 the entire enclosure over,

13 *Ollinger*, You're right. We took the emergency
14 rockets off of it,

15 MR. MATRANGA: No, we never -- did we or didn't we?

16 : You never got those emergency rockets

17 MR. MATRANGA: Okay. You may well be right,

18 *Ollinger* : -- took it off of one before we sent
19 it to --

20 MR. MATRANGA: Back to this part. Okay. We'll
21 come to that little story.

22 The next thing we looked at, as I recall, was
23 trajectories. And we specifically went through and flew some
21 of the proposed LEM trajectories. We demonstrated that the -
23 seat trajectories had been proposed ^{and} ~~for~~ easily flyable, showe

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 2083 • (301) 439-5600

1 that you could get relatively higher rates of descent in
2 close proximity with the ground without any particular
3 difficulty,

4 And then came the enclosure. We started to restrict
5 his vision, built that cockpit up around him. Originally, he
6 had plexiglass on the sides, primarily to shield him from
7 the spray of the peroxide attitude rockets,

8 But we built up a styrofoam enclosure around him,
9 giving him just the same field of view as the astronauts
10 would have out of the LEM.

11 And ran ^{ground} ~~final~~ ejection tests of that configuration.
12 Ottinger : ^{Combined with} ~~(inaudible)~~ of the new rockets?

13 MR. MATRANGA: Combined with the larger thrust
14 rockets, right. To give him a little better push away from
15 the vehicle, give him a little more height, and demonstrate
16 that the ejection seat would punch through the styrofoam
17 canopy without, any difficulty.

18 Algranti That brought us up to the point where we started
19 checking out Joe ^{Algranti} ~~(Alivanti)~~ first and then Bud ^{Raam} ~~(Rheem)~~.

20 Ottinger : Before you progress, let's cover this
21 seat upgrading.

22 MR. MATRANGA: Let's talk about the seat itself.

23 Ottinger : Okay.

24 MR. MATRANGA: The seat originally was developed for
25 the lifting bodies. ³ ~~(Quit)~~ Johnson bought the original type

7576 NEW HAMPSHIRE AVENUE, SUITE 20 • LANGLEY PARK, MARYLAND 2083 • (301) 439 - 5600

1 seat for the lifting -- the plywood lifting body,

2 *Ottenger* : ^{T-37?} (Inaudible) shell.

3 MR. MATRANGA: That's correct. Essentially for
4 (low Q) . I remember we cut it from 40 G's to 20 G's in terms
5 of acceleration capability and from the six or seven hundred
6 Q down to about 400 Q or so. Very small --

7 *Ottenger*
MR. ERTEL: Very light weight. (Inaudible).

8 MR. MATRANGA: Right; we asked -- the spec that
9 went out said it had to be less than 100 pounds.

10 *Ottenger*
MR. ERTEL: And it came in about 96.

11 MR. MATRANGA: And it came in about 96. we had two
12 responders to the -- well, we had *three* responders to the
13 proposal. One was --

14 MR. ERTEL: Douglas?

15 MR. MATRANGA: Yes, Douglas had one that they thought
16 could come in under 100 pounds, and it had a spring-loaded
17 canopy. And we felt that was somewhat marginal on really belt
18 able to do the job at low altitude.

19 The Weber seat that was rocket deployed canopy --
20 and then Stanley came in, and he wheeled and dealt saying
21 that he could do *it*, although he had never done it. He was
22 saying that he felt that they had the technical expertise to
23 go ahead *and* do it.

24 And we just felt that he hadn't demonstrated it and
25 we couldn't take a chance with seeing a couple of machines --

1 VTL machines, go in here on the base with the loss of crew
2 because the ejection seat did not work properly.

3 And we felt that was a real must. We put a lot of
4 effort into that. We had Weber make three ^{static firings} ~~(setting pines)~~ fo
5 us, one with the vehicle -- the seat --

6 MR. ^{Challenge} ~~ERTEL~~: Fixture,

7 MR. MATRANGA: Fixture; right. At zero attitude,
8 one tipped forward 30 degrees, and one tipped to the ^{right} ~~(road)~~
9 it rolled 30 degrees, and we demonstrated that the seat would
10 work under those conditions.

11 As you say, then we increased the thrust of the
12 rocket to give us a little better capability, We thought it
13 was margin (prayer). ^{Comment if you will by your memory of the battles}
14 ^{Altman: we had an moving ahead with that upgraded seat}
15 MR. ~~ERTEL~~: ~~(Inaudible)~~ ^{the} main thrust in terms
16 of trying to get that thing implemented, ^{funded, and} ~~of the~~ we agreed to,
17 I'd say, ^{by MSC} ~~(inaudible)~~ as I recall, [?] (inaudible) and he was flying
18 the thing, had a personal interest in it as well, but he --

18 MR. MATRANGA: Well, we were in the program for
19 fairly small funds. It was running us about a million dollar
20 a year in terms of total expense for running the program,
21 And this included some design work for the ^{LL} ~~RE V~~; it included
22 things like operating the seat: it included the fabrication
23 of these controllers and displays,

24 And we had various and sundry product improvement
25 as we went along. If you'll recall, we had a great deal of

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1 difficulty with the ^{attitude gyros} ~~other two~~ ^{remember} ~~Generals~~. There was Cal Jarvis
 2 shuttling between here and Portland, Oregon with *gyros* on
 3 several occasions because **we** down to our last spare, and tryin
 4 to figure out how to beef these things up and **make** them last
 5 little bit longer.

6 Well, that's that again. Everything on the vehicle
 7 was light-weight. We developed an instrumentation system,
 8 that ^P ~~PCM~~ ^[pulse code modulation] telemetry system, because it weighed 35 pounds as
 9 contrasted with an (Assoangrad) that would weigh 75 pounds,
 10 And all ^{down for life} ~~that (wire)~~ in the ejection seat had to
 11 be 100 pounds or less. We really *sweated for* ulcers on the
 12 machine.

13 ~~Now,~~ ^P primarily because there were thrust limitations
 14 it just wouldn't get up in the air.

15 MR. ERTEL: ^{That's ironic -} ~~(Inaudible)~~ ^{proposal maximum} on the LEM, their ^{maxima}
 16 ^{1 thousand} weight was 22 ^(And they fought over weight and they fought over it) pounds. ~~(Inaudible)~~ and they went to 33-5.

17 MR. MATRANGA: And our total got up at one stage as
 18 high as 36, and they felt it just would never get off the pad
 19 at that kind of weight.

20 ^{Challenges} I think we grew 10 or 15 percent, but ou
 21 engine actually -- went ahead of us. I think we wound up
 22 with more actual thrust margin in the TV than we had dreamed
 23 of. Even though we grew in weight in total -- (inaudible).

24 I think (G's initial conservative).

25 MR. MATRANGA: That's true. And it's an ironic

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

1 thing if you wish, You were told that the background of the
2 engines. The engines originally were developed by the Air
3 Force. The PAN-J-85 was what it was.

4 And the original --

5 *Oettinger*: -- they went into the commercial -- I
6 know the ^{qual}(~~fault~~) tests were -- the first ^{qual}~~fault~~ test was an
7 Air Force' ^{qual}~~fault~~ test.

8 MR. MATRANGA: It was basically --

9 *Oettinger*: But they never went into production,

10 MR. MATRANGA: But it was a horizontal engine. Not
11 a vertical engine.

12 *Oettinger*: Yes, but his production was really
13 commercial.

14 MR. MATRANGA: Right.

15 *Oettinger*: Not military.

16 MR. MATRANGA: That's true.

17 *Oettinger*: ^{it was qualified}(~~Inaudible~~) under the Air Force contrac

18 MR. MATRANGA: Very true. And the thing that we did
19 was take one of the original Air Force engines, modified it --

20 *Oettinger*: I think we took our own --

21 MR. MATRANGA: That may be --

22 *Oettinger*: Put in a new --

23 MR. MATRANGA: Modified it for vertical operation
24 and the original ^{qual}~~fault~~ test in the vertical would run with the
25 Air Force engine. It was not a new engine at all. It was a

1 used engine. And that engine always produced more thrust than
2 any of the others. (Laughter.)

3 And that engine always produced more thrust than
4 any of the others, That was the best --

5 *Attinger* : I think we wound up -- I think our first
6 "light engine was a used engine in a sense.

7 MR. MATRANGA: That looks -- that was the --

8 *Attinger* : -- the same one. (Inaudible.)

9 MR. MATRANGA: Right. But G.E. did a fine job and
10 that engine was a fine engine. That was reliable --

11 *Attinger* : There were a few ^{glitches} (~~glitches~~) in the engine
12 program, but they were so small and very --

13 MR. MATRANGA: I remember we put some ducts, some
14 covers over the bleed ports.

15 *Attinger* : Yes.

16 MR. MATRANGA: To deflect the air as they came out of
17 the bleed ports, and we obviously choked those bleed ports.
18 They had some compressor stalls, on the engine run.

19 *Attinger* : But we wound up --

20 MR. MATRANGA: We wound up changing those.

21 *Attinger* : Expanding them, putting in bigger ones
22 for some reason. And we had some solder (inaudible).

23 MR. MATRANGA: Yes, I remember that.

24 *Attinger* : It was ^{glitches} (~~glitches~~) on the things like
25 servicing the lube oil tank. It was just nit picking stuff

1 that you could solve, by keeping your nose to the grindstone,
 2 (Inaudible) -- nothing in practice (inaudible), or safety,
 3 except perhaps that bleed port, That could have gotten to us,
 4 but we picked it up ~~and~~ ^{on the ground}

5 MR. MATRANGA: Fortunately, we picked up most of our
 6 ^{on the ground} problems ~~A~~ in fact, we picked up all of our problems on the
 7 ^{ground} ~~van~~. We didn't have any significant airborne problems, with
 8 the exception of the one flight where Cooper made very very
 9 much at the end of the program, where the feedback connections
 10 on the attitude control system were *not* plugged in and he
 11 flew not only back-up, but *he* flew open loops with the
 12 acceleration control.

13 *Ottlinger*: Right.

14 MR. MATRANGA: But that really was the only --

15 *Ottlinger*: Wasn't (inaudible) that occurred --

16 MR. MATRANGA: Yes. We had a peroxide leak on
 17 Bud Rheem; We had a valve --

18 *Ottlinger*: -- peroxide leak or something -- or
 19 Bud ^{Rheem} ~~Rheem~~ flew or something and -- we had a peroxide leak
 20 though, behind the cockpit.

21 MR. MATRANGA: Was it a seal or was it the actual
 22 buckling of the valve?

23 *Ottlinger*: I don't remember. (Inaudible.)

24 MR. MATRANGA: But anyway, it sprayed straight
 25 peroxide on (inaudible).

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1 Ottinger : So out of what -- 200 flights; roughly
2 or more than 200 counting Ship-2.

3 MR. MATRANGA: More than 200, counting Ship-2. We
4 made 198 flights on Ship-1, and 6 flights on Ship-2 before
5 we delivered those --

6 Ottinger : So say a couple hundred flights, and
7 you've got really two flight incidents regarding hardware.

8 MR. MATRANGA: I think a great deal went back --

9 Ottinger : We had a number of ground incidents
10 and learned our Lessons well, I hope --

11 MR. MATRANGA: Well, we had a number of ground
12 incidents and we had some hard and fast ground. rules.

13 Ottinger : Yes.

14 MR. MATRANGA: Which we never violated in flight.
15 We never flew in winds over 12 feet per second, if I recall
16 correctly, or was it 15?

17 Ottinger : We gradually expanded to this; --

18 MR. MATRANGA: Oh, we got up to maybe 15. We would
19 not go if we had any questionable system operation. We would
20 not go unless we had telemetry, to be able to monitor the
21 systems ,

22 Ottinger : You picked up some comments in Buffalo
23 about some of our ^{flights} getting down pretty close to the
24 board point because of jet engines running fast --

25 MR. ERTEL: I think that was --

1 *Ottenger*: 'Things of this nature and -- I can
2 remember now when --

3 **Em** ERTEL: I don't know if it was Reiken or who,
4 but he says he had a bunch of people out from Washington --
5 a bunch of Generals, a bunch of MASA people, and they were
6 standing there watching and it was just ready to go and they
7 sat these and sat there and sat there, and they could see
8 that fuel burning up, and he was saying to himself, "Oh, hell,
9 he's not going to get it off the ground."

10 *Ottenger*: Well, I think a little is related
11 in somewhat in what we are talking about. If a ^{glitch} (glitch)
12 came up after you start the engine, go through this fairly
13 extensive checklist, and then you go back, and we had power
14 problems and we wanted to make sure all the firing backup
15 systems were working, and all the stuff was very thoroughly
16 checked out, and of course, you come up, and you go back and
17 start it over and re-check it and then you had ~~to~~ go, no-go,

18 Many times it would be no-go, but I think for all
19 of our ^{demos} (stemos), I can't think of a one where we really shut
20 down and reservised it again, but we did just get it off.

21 Maybe we didn't give a full trajectory or a full --

22 **MR. MATRANGA**: The one that John's thinking about,
23 and I remember it, was during the (Expedine) Conference of
24 1965 or somewhere in that ball park.

25 We flew it off here off the the bank ramps. That wa

1 the first time we ever flew off the back ramp.

2 MR. ERTEL: Yes, that's AIAA. Yes, the X-15
3 Conference, but that was not --

4 MR. MATRANGA: But that was not a marginal service
5 situation.

6 *Ottlinger* : No, that; was the one we (made' fission)
7 at 20 feet off of the ground.

8 MR. MATRANGA: But the thrust light computer didn't
9 work properly.

10 *Ottlinger* : Well, it was successful.

11 MR. MATRANGA: Okay, Well, that's what I'm saying,
12 It was pilot technique.

13 *Ottlinger* : Yes. Right.

14 MR. MATRANGA: That made the difference, but because
15 of the pilot technique, the jet engine was not putting out
16 enough thrust, and he got down in close proximity of the
17 ground and didn't have enough thrust.

18 *Ottlinger* : What was the switch that we moved that
19 I was arguing with him? You had -- I was talking about the
20 XB58 going in a week or two before that, and I had a big battl
21 going with Walker about wanting to do this.

22 I wanted to get it off the console and put it up on
23 the jet throttle head.

24 MR. MATRANGA: It was the (lunar) sim switch that he
25 could punch off of lunar simulation and lock everything back u

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK MARYLAND 20783 • (301) 439 - 5600

1 *Ottlinger* : And that particular flight convinced
2 him that we are moving up and he did it,

3 MR. MATRANGA: Right.

4 *Ottlinger* : But there was another switch which got
5 moved off of the throttle and was it the same switch Later
6 on for different reasons?

7 MR. ERTEL: Was that the one that Alex was telling
8 me about that after the change in your seat, you were sitting
9 in a different position and he accidentally --

10 *Ottlinger* : Was it the emergency throttle?

11 MR. MATRANGA: I don't recall.

12 *Ottlinger* : We had a backup jet throttle system
13 that was electrical instead of hydraulic.

14 MR. MATRANGA: Right.

15 *Ottlinger* : And, as I recall, we had a switch on
16 top of the throttle hand with that and it could have been tha
17 one was actuated.

18 I think we always had to keep that right up there.

19 MR. ERTEL: Well, he said that after this happened

20 *Ottlinger* : I remember what you're talking about.
21 There was a switch -- down here in South base in your (flight
22 stéer) you actuated a -- it got inadvertently actuated and
23 the decision was made to get rid of it.

24 And I don't know if we got rid of it entirely or
25 what, and I think that --

Don Mallick

1 MR. MATRANGA: I don't recall. That slips my memory
 2 Okay, so where are we? We've got ~~back~~ ^{Reason} and ~~Room~~ ^{Algranti} and (Alvraney)
 3 checked out.

4 We got a contract run-through with Bell to redesign
 5 the vehicle to make **it** more operational -- LLTV, **if** you wish,
 6 rather than LLRV.

7 *Oltinger* Do you have GE contract --

8 MR. MATRANGA: Put the second vehicle -- okay, get
 9 everything documentation-wise --

10 *Oltinger*: -- and injection with that so it could
 11 take off from there.

12 MR. MATRANGA: Right, and the second vehicle put to-
 13 gether.--

14 *Oltinger*: All right.

15 MR. MATRANGA: -- which included, as you say, the
 16 deletion of the emergency rocket system which, in retrospect,
 17 we felt was certainly marginal for use by astronauts.

18 *Oltinger*: Trainees.

19 MR. MATRANGA: Trainees, yes, right. For experi-
 20 enced pilot, that's one thing, but for a trainee, that's bet-
 21 ter to just punch out as --

22 *Oltinger*: Yes, because once you come in under
 23 that land emergency system, you're putting yourself in worse
 24 ejection position.

25 MR. MATRANGA: That's true.

1 *Callinger* : And you're Just running a bigger risk
2 In loss of life, whereas a research situation with more ex-
3 pertise, then you'll always save *the* vehicle than when you
4 take a --

5 MR. MATRANGA: Right, right. And then we delivered
6 the first vehicle to Houston in January of 1967 and shortly
7 thereafter, the second vehicle was brought down to Houston.

8 We tried to check out the *vehicle*. We went down in
9 February to demonstrate that the vehicle was still flight-
10 worthy down there and ran into difficulties with facilities at
11 Houston and just couldn't get proper peroxide servicing,

12 We couldn't get --

13 *Callinger*: Power.

14 MR. MATRANGA: Yes, power -- a whole bunch of facili-
15 ties things. We made a ground run --

16 *Callinger*: And wouldn't give stable enough power,
17 permanent --

18 MR. MATRANGA: We made a ground run right there on
19 the ramp and wound up chipping concrete like crazy, so we
20 figured we had to have a blast shield under the machine to
21 protect us from blowing up concrete.

22 I decided that we were going to pack everybody up
23 and come home until they got all of the facilities problems
24 solved.

25 And we went back in March and then got off two full

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

*Kluger
Hoover
Clover*

1 simulation flights, with Jack (~~Hoover~~) flying the machine and
2 *Ottenger* : Coming in out of this (inaudible)
3 point of the flight.

4 MR. MATRANGA: Yes, and so it was operational. And
5 so that was Bind of the end of our committment, except that
6 we did consult with the Houston people in the fabrication and
7 design of LLTV and of course a couple of us got involved with
8 accident investigations down there.

9 *Ottenger* : ~~(Inaudible).~~

10 MR. MATRANGA: *Malik* (Malik) was in B-70 school or -- I
11 don't recall this -- B-70 school or B-58 school, but in pre-
12 paration for B-70, that is correct.

13 Don got wrapped up in the things involved with B-70
14 in the fall of 1966 and Jack Hoover flew most of the latter
15 flights in the machine.

16 In fact, the people/who flew the different flights
17 down here at kind of interesting and, in fact, the flight
18 distributions are kind of interesting,

19 Walker flew 35 flights for something in the order
20 of two hours and 23 minutes of actual time. *Malick* *Malick*
21 79 flights and wound up with the most flights here and he had
22 a little over six hours, eight minutes and 37 seconds, to be
23 exact.

24 Jack (Kluger) wound up with only 65 flights, but
25 he had six hours, eight minutes and 59 seconds, so he had

7876 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1 22 seconds more time than Don ^{Males} (~~Marick~~).

2 *Ollinger* : Yes, I'll bet he's the happier of them
3 all -- squeeze more out of it.

4 MR. MATRANGA: But ^{Algranti} ~~Al~~ (~~Granny~~) made 13 flights here
5 for a little *over* an hour's time, but ^{Ream} (~~Ream~~) made 12 flights
6 for 59 minutes before the machines went down to Houston.

7 So, they *were* pretty proficient in the machine by
8 the time it got down there -- each one came down -- so about
9 six weeks here.

10 *Ollinger* : ^{Dynalectron Dynalectron.} (~~Flowery~~) and (~~Don~~) went down there --
11 to check it out, ^{on the} ~~quit~~ South base for a couple months,

12 MR. MATRANGA: For a year.

13 *Ollinger* : For a year, but the ironic thing about
14 it is that hardly any of the guys that trained here stayed
15 with us.

16 MR. ERTEL: Stayed with us (inaudible).

17 MR. MATRANGA: When they all went back to Houston
18 they decided that was the end of the rope. Most of them quit
19 and stayed cut in Southern California.

20 *Ollinger* : Did they?

21 MR. MATRANGA: Yes, most of them quit and stayed in
22 Southern California.

23 *Ollinger* : ^{Joe Algranti} (~~Zero~~) had a real problem on manning,
24 getting good technicians --

25 MR. MATRANGA: Qualified people.

1 to *that* probably as a result *of* our problem on --

2 We made 31 flights evaluating the rate command
3 system and then 26 flights specifically looking at lunar
4 trajectories.

5 *Ollinger* : Now, this attitude command -- now,
6 the LEM had attitude ^{*holds*} ~~(forwards)~~.

7 MR. MATRANGA: The LEM had attitude command with
8 attitude ^{*hold*} ~~(haul)~~ -- the combination of the two.

9 : Which was the better thing. Now, the
10 pure attitude command, the ^{*LEM takes*} ~~LEM (states)~~ over, the vehicle
11 comes over and it stays there. The (stick) comes back to the
12 (Inaudible).

13 MR. MATRANGA: No, no. He'd have to hold the stick
14 to whatever attitude he wanted to hold.

15 *Ollinger* : And it would stay there.

16 MR. MATRANGA: And it would stay there. If he let
17 go of the stick, then the machine would come in back to --

18 *Ollinger* : So the vehicle follows the stick, pure
19 and simple.

20 MR. MATRANGA: Pure and simple.

21 *Ollinger* : Command with attitude holds --

22 MR. MATRANGA: ^{*Rate*} ~~break~~ command with attitude holds.

23 *Ollinger* : Okay, yes, you said it the other way,
24 but it would be ^{*rate*} ~~break~~ command with attitude hold would be what
25 ^{*summed up*} I sound out first, wouldn't it -- move the stick over and let

1 it come back to the tip of the vehicle and --

2 XI, MATRANGA: It will stay at that attitude, that'
3 correct, which is what LEM has and which is what LLTV had.

4 *Atlinger* : Yes, right.

5 MR. MATRANGA: When we originally designed the ma-
6 chine, we designed it to what we expected LEM to have and,
7 of course, it changed as --

8 *Atlinger* : As time went along.

9 MR. MATRANGA: -- as time went along. And we up-
10 dated the LLTV to be more like ^D(Thor).

11 We had to make some hard decisions on LLRV Long be-
12 fore systems were frozen in the LEM.

13 *Atlinger* : I think one of the interesting design
14 experiences I do recall and it is certainly from a systems
15 analysis standpoint, it was early in the TV program, ^{MSC}NSE had
16 a separate? (authority) for failure analysis modes.

17 And it was a darned good exercise, at least for me.
18 I don't recall specific design changes that were made out of
19 that.

20 MR. MATRANGA: Well, a specific design change that
21 was made was -- for instance --

22 *Atlinger* : The electrical system on the last ship
23 right.

24 MR. MATRANGA: The electrical system of the last
25 LLTV, that's right.

1 *Collinger*: Well, I think some of those changes
2 though were made before, and the analysis itself was just
3 reflecting what would happen on the -- is this third crash --
4 I've heard it explained -- apparently, it was a generator
5 failure?

6 MR. MATRANGA: That is correct.

7 *Collinger*: And then from that the residual field
8 that apparently no knew was there kept the ~~relaying~~ to
9 put you on the battery from dropping it out or dropping in.

10 So here you are with ~~another~~ neither bus to
11 generate power.

12 MR. MATRANGA: That's right. We had neither
13 generator power *nos* battery power.

14 *Collinger*: And then I heard also that once the
15 engine flamed out due to the ejection seat gasses, ingesting
16 into the engine as you pointed out, the engine wound down
17 in RPM's.

18 Your generator wound down the field disappearance,
19 the relay came on, the battery came on, and this attitude
20 control system started firing, and that's how they found
21 out what the problem was.

22 And there is a good example for the failure analysis
23 didn't pick up the thing, and actually even the test program
24 to, let's say, more realistically check out the system.

25 MR. MATRANGA: Okay, what else do we have?

1 MR. ERTEL: Well, I think I want to ask you a
2 couple -- do you recall who was on that early ad hoc committee?
3 Name as many as you can, and I can say the ad hoc committee
4 is --

5 MR. MATRANGA: I can go back and look. I remember
6 Jim Atkins specifically was on it I remember (Farmer) John
7 Smith was on it. I remember a fellow named Joe (Washfield)
8 was on it. Joe was a performance engineer. He left shortly
9 thereafter. I have no idea where he went.

10 I was the Chairman of the committee.

11 *Ottinger* : Was Drake part of it?

12 MR. MATRANGA: No, Drake --

13 *Ottinger* : Or just an assistant, as before?

14 MR. MATRANGA: He insisted that it be formed and
15 shepherded us along, but he was not an active --

16 *Ottinger* : In terms of -- in Drake's part in it
17 was more or less addressing the general problem of lunar
18 landing and what can this center contribute to it, but it
19 didn't really constitute building a simulator.

20 MR. MATRANGA: No. And the question was, what kind
21 of simulator should we use. We went down to the south track,
22 for instance, and talked with those people to see if there
23 was some way we could orient the man on the sleds down at
24 South Track to simulate it, to see whether we could do it with
25 a helicopter.

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

1 *Altman* : Well, you had to get the general para-
2 metric things together so that you would need, let's say, a
3 combination of a jet engine, but as it turned out, the
4 combination of a jet engine rocket made more sense. Because
5 of the impulses involved.

6 MR. MATRANGA: We went up and talked with some
7 people at *China* ~~(Chen)~~ Lake. They had a tower, a 100 foot tower,
8 that they were running some Ranger rocket engines, rocket
9 engines that could have been utilized on Ranger -- using
10 radar altimeters. That type device.

11 All of these things were too constrained. We
12 figured we had to get something that could go to as high as
13 1000 feet, and that was the kind of number we talked about.

14 As high as 1000 feet to simulate this Last 1000
15 feet of the lunar landing, and that was one thing that made
16 us so skeptical of the LLRF at Langley.

17 We felt that they Just couldn't get enough simulatio
18 time in there to do the pilot enough good.

19 *Altman* : What was its height?

20 MR. MATRANGA: 200 feet, maximum. *But*, of course,
21 by the time --

22 *Altman* : -- into the trajectory, yes.

23 MR. MATRANGA: Right, by the time you got into the
24 simulation modes, they were down something on the order of
25 75 or 100 feet. *Our* ~~My~~ feeling was that just wasn't enough.

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1 And I think, again, that was fairly well confirmed
2 that --

3 *Erstel* : Yes, they stopped using them pretty
4 early.

5 MR. MATRANGA: I'm aware of that. They did run some
6 landing gear type studies with it, which were extremely use-
7 ful. Each one wound up having its place, as it turned out.

8 But from the flight training standpoint, I think
9 all the astronauts had flown the machine, and our pilots
10 certainly felt that the strange attitude you got into with
11 this machine was like nothing else they ever experienced
12 before or since, other than on the moon,

13 Because you just had the tip, attitude-wise, so
14 far -- unnaturally far to get the proper thrust and the prape
15 thrust background.

16 And, of course, the other thing was the very steep
17 attitudes that were involved in the whole thing. They were
18 much steeper than normally utilized, let's say, with a
19 helicopter, for instance.

20 MR. ERTEL: Would you address yourself a little bit
21 to your fixed ^{base} ~~has~~ simulator?

22 MR. MATRANGA: Well, again, the fixed base simulator --
23 each one had its place, and I think you could not have done
24 as good a job if you didn't have any one of them,

25 The fixed base simulator certainly allows you to

1 go through all the parametric things, particularly relevant
 2 to trajectories, but it does not give the pilot the feel of
 3 the large attitudes; he cannot get a feel for *it* on the fixed
 4 base simulator, or even a moving base simulator.

5 Because you don't have the acceleration associated
 6 with the large attitude. You can tip a cockpit up on a ground
 7 base simulator, but you don't have the accelerations that
 8 go on with *it*. *It's* not all there.

9 MR. ERTEL: It's really -- for some reason, I'm sure
 10 it was a good idea. Somebody told me that the fixed base
 11 simulator -- it was really a simulator simulator simulator,
 12 because it would simulate RV's which would simulate the TV,
 13 which would simulate the LEM's.

14 MR. MATRANGA: We had a small --

15 *Matranga* : It didn't really simulate the TV.

16 MR. ERTEL: It did in a sense, didn't it?
 17 *It said that*
 18 . ~~in light~~ ground work; as far as a true
 19 simulation, the TV's just sort of a follow-on of the RVN.
 20 We did build in some variability, as I recall, in the control
 21 system for the RV to do basic ^{VTOL} ~~free-style~~ research work.

22 And some was done, which really wasn't, as you call,
 23 necessarily related to the moon,

24 MR. MATRANGA: That's right. We were interested in
 25 basic research and research that pertained to ^{VTOL} ~~DOTL~~ as well as
 to general spacecraft application.

1 *Ottm* : So you had a dual role with the RV
 2 where the TV simulator, as far as operational training, it was
 3 timed -- it was late enough so that we could get more up-to-
 4 date with developments in configurations, all the way around,

5 But then we went ahead and put some (virgos) back
 6 into the TV's to keep up with LEM. So in the long run,
 7 probably wound up ^{more} ~~this~~ ^{if not more so than they} complex (inaudible) RV because of the
 8 additional operational controls.

9 And this is where, I think there's addressed -- we
 10 hit an the real weak spot, as far as the failure ^{mode} ~~of those~~
 11 studies is concerned. ^{But in terms of} ~~where they are~~ trying to handle this
 12 transition from RV to TV, that kind of an effort really had
 13 to take place. And it was strictly a fall-out of an ^{interesting} ~~airship~~
 14 exercise in the ^{rocket} systems, jet systems.

15 I think there were a few changes that ^{did fall} ~~went~~ out,
 16 now that I recall, in the jet system. There was a discovery
 17 (inaudible).

18 MR. MATRANGA: And we always recognized the one
 19 area we had no redundancy was in the jet engine attitude
 20 control systems. And there was no way to provide that.

21 We just never could figure out a way to -- if you
 22 ever added ^{an} hydraulics to that jet engine attitude control
 23 system, your accumulators would lock up the gimbal system,
 24 but as soon as you ^{bleed off} ~~burnt-out~~ the hydraulics, you were dead. ^{an}

25 That was the one area we had no redundancy -- that

1 and the jet engine, of course. *Me* lost the jet engine and
2 couldn't (inaudible).

3 But those really were the only two areas that **we**
4 didn't have some form of redundancy.

5 *Ollinger* MR. ~~ERTEL~~: You had your ^{burn} seat accumulator --
6 was redundant to the normal hydraulic pump on the jet engine.

7 MR. MATRANGA: Right, but if you had a hydraulic
8 line failure, where you lost ^{all} hydraulic pressure, ~~the~~ accumulator
9 would not --

10 **Im** going to have **to** but out for about *a* half **an**
11 hour.

12 *Ollinger* : (Tell) wanted to catch us earlier
13 today, so why don't we move down in here with him and then
14 later on wrap-up.

15 MR. MATRANGA: We'll plunge through some of these
16 things. I've been trying to get *to* that ever since you
17 called saying you were going to come, and that *got* delayed
18 until tomorrow -- until tomorrow -- until tomorrow.

19 I have a collection of photographs, if you would
20 like to look at them.

21 MR. ERTEL: I surely would. That's one thing I
22 need badly.

23 : (Inaudible) and he wants to get a copy
24 of it; do you still have any (inaudible)?

25 (Inaudible discussion.)

MR. MATRANGA: Oh, I don't know.

MR. ERTEL: I think that was really --

: See, that was (inaudible) at Edwards
(inaudible) picture.

MR. MATRANGA: Okay, I'm sure I have --

: --and should probably have a negative
of your (Inaudible).

MR. MATRANGA: Wade through photographs of --

: I would like --

(END OF TAPE ch%, SIDE ONE)

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1

C E R T I F I C A T E

I hereby certify that the tape recording represented by the foregoing pages was transcribed by me, or under my direction; that this transcript is a true and accurate record to the best of my ability.

7576 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

METROPOLITAN REPORTING SERVICE, INC.

By: Phyllis Glass
Phyllis Glass

-)(-