

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NATIONAL AERONAUTICS AND SPACE ADMINISTRATION

- - -

Interview with
WAYNE OTTINGER

- - -

July 27 and 28, 1971

(TRANSCRIPT OF TAPE RECORDINGS)

-0-

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

C O N T E N T S

TAPE ONE, SIDE ONE
 TAPE ONE, SIDE TWO
 TAPE TWO, SIDE ONE

page 3
 54
 100

-0-

88 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

(START OF TAPE ONE, SIDE ONE.)

MR. ERTEL: This is conversation with Wayne Ottinger in Los Angeles, July 27, 1971, while we are looking at some pictures.

MR. OTTINGER: Okay, that's the RV in on -- these pictures will all be Edwards pictures. I don't have any film on Houston operations. These would all be ^LRV, Number 1. I don't think I have any films at all on the second RV.

There was just a very short check-out program for that second ship, before it went down to Houston.

It's real difficult to pin down also what these particular films --

: (Inaudible.)

MR. OTTINGER: Oh, yes. Right. We only did very limited testing right at the tail end of the Edwards program of an enclosed cockpit.

I would say there were approximately 200 flights, I think, made at Edwards in the RV program, and I think most all of them on the first unit. I've forgotten how many flights were made on the second.

See, I'd left and gone to Bell before they ever finished the program at Edwards.

This is a ^{full} ~~low~~ Lunar ^{sim} ~~SEM Y.~~

MR. ERTEL: I understand that's when the wheels

1 were coming off. (Laughter.)

2 MR. OTTINGER: Yes. I've forgotten now whether we
3 made the first flight with wheels on or not. I think we did,
4 yes.

5 MR. ERTEL: The first four or five.

6 MR. OTTINGER: The first four or five, yes. Okay.
7 We got so much rolling due to the lateral forces that any
8 little bit of wind would really scoot him around.

9 It's one of those things that works in reverse. We
10 figured initially that would be the greatest way to go for the
11 first flight. We would have been far better off --

12 That was taken from a helicopter. That was a pretty
13 good trajectory there. Picked him up from (I-EV). Probably
14 a good five-six hundred feet, maybe. I don't know. It's hard --

15 Okay, this is X-15 staff here. This is a (plas-mark
16 spray rig that we put together. And actually right down here
17 in I. A. at a shop. But we actually built the panagraph and
18 tooling to hold the engine at Edwards at our shops there at
19 FRC.

20 And we did the initial plas-mark spring down here
21 on Sepulveda Boulevard.

22 We are re-coating the engine in the X-15, the
23 60,000 pound chamber there, with ceramic coating.

24 This is a shot of the test stand. We checked the
25 engines out. This particular one, I think, is the one where

b.1g

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1 it blows, We had a combination of warm locks and a stack-up
2 of tall X's and switches and so on.

3 Let the ignition sequencing get out of band and
4 there she blew.

5 And this is somewhere where the airplane, ^{had} ~~tried~~
6 down, engine runs in the aircraft. And this is another
7 blower. ^{Scott Crossfield is} ~~It's got a cross field.~~ It's in the cockpit at the
8 time.

9 This was before the large engine ever Slew, the
10 60,000 pound engine ever had its first flight.

11 Ground runs just prior to trying to get it into the
12 air. Regulator and relief valve failures in the ammonia tank
13 caused the ammonia tank to over-pressurize and not relieve
14 properly, and GSE was not designed properly to relieve things
15 When that ammonia tank blew, it blew the peroxide tank and
16 kept the airplane idle too right at the aft edge of the wing.

17 It blew the tail section out in front: ^Crossfield
18 in the forward section shot forward about 20 feet. The rille:
19 ride he ever had.

20 It was a real fortunate thing too, the ground crew
21 was just being notified to go ahead and come out of the pill-
22 boxes, and make an inspection as a result of an engine mal-
23 function shut-down that had no relation to the propulsion
24 system problem, and the tanking.

25 And they were just ready to unlock the pillboxes,

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1 and had they done that, out of the three pillboxes, they would
2 probably have lost about 15 guys.

3 They were Just within seconds of doing that when
4 that thing blew.

5 This is a mating shot, bringing the thing up under.

6 Finally, these films -- I've put the ^{best} ~~press~~ of the
7 RV stuff that I had on the front of this, and now I've got
8 the X-15 on it, and it's probably a combination set-up.

9 MR. ERTEL: -- the X-15 (inaudible).

10 MR. OTTINGER: Yes. Well, that's a good trainer
11 for -- in a way for re-entry in a broad sense.

12 MR. ERTEL: You're never going to see one of those
13 ^{Saturn V's blow up.}
~~(inaudible).~~

14 MR. OTTINGER: Yes. Here's the take-off sequence.
15 The ^{LOX} ~~locks~~ tank ^{there} ~~cross fin~~. Chase shots going out to the
16 launch site.

17 We did a lot of pre-launch check-out with the
18 chase watching the various strain ports, checking prime coming
19 sut the back end on both the ^{LOX} ~~locks~~ and the ^{fuel} ~~(fuel)~~.

20 There's a control room shot. I'm on the left.

21 (Perry Rowe) there is on the right. We ran about 35 or so
22 propulsion parameters on tankage systems and engine systems
23 and sequencing and so on, in the TM room.

24 Pretty involved check list, prior to launch. We'd
25 get the engine pump going and light the ignitors, which was

7676 NEW HAMPSHIRE AVENUE, SUITE 20 • LANGLEY PARK HAMPYLAND 0783 • (3) 29 500

1 a thousand pounds of thrust or so riding all the way down
2 to about a 60 second pump battle, as I remember, before launch
3 and about a ten second igniter, with the igniters running two
4 stage igniters,

5 And then after he drops off the hooks, he just
6 pushes the throttle up and lights the main chamber, but his
7 igniters are all ready, so he can usually get rolling pretty
8 oh, within 500 foot or so of altitude launch.

9 After he drops off the hook, he will be off and
10 running. You'll see some shots in a minute, of the chase
11 and everybody right in formation in launch.

12 These are the plotting boards. The large marks on
13 the maps are the energy levels for various emergency recovery
14 lakes that he can use in case of propulsion failure or any
15 problem requiring emergency --

16 The thing was altitude and velocity combination and
17 where he is on that flight path.

18 The camera is in the ^[B-]52, and this was with a small
19 engine. Now, this is with a large engine. And he doesn't
20 drop nearly so far. But that first shot was with the eight
21 small chambers, and we only got about., oh I think it was
22 about 5000 pounds per chamber. No, it wasn't that milch.
23 1500 pounds per chamber times 8 chambers.

24 MR. ERTEL: 12,000.

25 MR. OTTINGER: 12,000 pounds for the airplane,

1 whereas we had 50,000 with the -- but we had cameras on this
2 thing. You know you saw the 52 cameras, the chase cameras,
3 the bug-eyes behind the cockpit on the bird itself, and a
4 cockpit camera looking at him and the instrument panel.

5 MR. ERTEL: *Who was that flying?*
(Inaudible.)

6 MR. OTTINGER: No. Do you want to stop and go back

7 MR. ERTZL: No, no; that's all right.

8 MR. OTTINGER: Okay, These are the bug-eyes. The
9 speed brakes are out. He's on the power climb-out with
10 speed brakes out to keep his velocity down to flight plan.

11 You can see the curvature real well on the horizon.
12 And this shot here is -- this ~~white~~ ^{flight} was taken very shortly
13 after Gemini got going. I think -- wasn't it Gemini where
14 they were seeing these foreign particles coming by --

15 MR. ERTEL: That was the Mercury.

16 MR. OTTINGER: That was the Mercury? Okay.

17 MR. ERTEL: Glenn saw it first and then ^{Carpenter saw it} ~~then~~

18 MR. OTTINGER: Well, okay. It was about that time
19 when Mercury then -- that they were having their problems,
20 and we picked up something on this flight, and you'll see it
21 in a minute, I think.

22 We didn't know what it was, but the bug-eye cameras
23 picked it up, but I think eventually we wrote it off as frost
24 or something breaking off. I'm not sure if this is the
25 sequence or not. But it's up in the dark part. of the horizon

1 there.

2 You almost have to slow the thing down to pick it
3 out and *see* it, but there's a flash of white stuff going by.

4 The film speed on this *is* pretty slow -- the camera
5 speed, rather, so it looks like it is going like that.

6 I can remember a lot of North American footage on
7 this thing with Crossfield flying.

8 Here's a landing sequence. He flew the(ventril)
9 just; then, and it -- they had a recovery chute on it that
10 worked about half the time. Those tnings run about ten or
11 twelve thousand bucks, for the ventril, so they are trying to
12 get them back.

13 Here cones the gear. Landing flares. About a mile
14 roll-out on the average on those *skids*.

15 A few flights where it was nip and tuck on getting
16 the nose gear down. Or a skid would hang up or something.

17 Here's some more chase shots -- pre-launch. I think
18 this is the one with Pete Peterson, Navy pilot, his first big
19 engine flight. No, it wouldn't be big engine; it would be
20 small engines, and he couldn't get Ialight. And he jettisons
21 here pretty quick.

22 He tries a couple of times to get Ialight on the
23 main engine. Doesn't do it. He's headed to that lake bed
24 over on the right of the screen.

25 And, some real nice chase [plane] coverage on this thing.
^

1 There his Jettison strap -- no, that was the second try at th
2 start ignite -- going to start his jettison.

3 That's Mud Lake in Nevada. There's his jettison.

4 Plan form on the T-38 chase there when they go into
5 this next turn -- look at it compared to the X-15. It sure
6 is similar.

7 MR. ERTEL: *Yeah, really is*
~~(inaudible.)~~

8 MR. OTTINGER: That's a real nice shot there. He's
9 trying to dump about 15,000 pounds of propellant, and he's
10 got three minutes to do it, something like this. I've
11 forgotten exactly what the thing is.

12 We got away with it on that one. There's some more
13 sequence on another one with Jack *McKay*
~~(McGabe)~~ flying that -- he
14 wasn't so lucky.

15 But he's coming in fairly hot, We've got emergency
16 recovery crews at these various lake beds, and the launch lak
17 site is always the heaviest manned with the most equipment,
18 in case of a problem.

19 There's a little light plane that got the hell out
20 of there because of the ammonia fumes. When you are venting
21 off that thing, it gets pretty bad, depending on the wind.

22 I barely got oat of a pillbox with a crew chief one
23 time on the ammonia. We didn't have the full mask equipment.
24 All we had was some filter masks. They weren't good enough.
25 They can move you out when your wind is cut off with it. It''

MARYLAND 20783 • (301) 439 - 5600
76 0 NEW HAMPSHIRE AVENUE, SUITE 210 •

1 30 things physiologically to you that you won't do normally.

2 In terms of speed and getting, you know --

3 MR. ERTEL: *ch never realized the length of*
(Inaudible) ~~utilize the liquid in the~~
4 X-15.

5 MR. OTTINGER: I've forgotten how long it is. This
6 is bug-eyes with the lens turned 90 degrees. The vapor trail
7 will disappear in a minute -- in a few seconds.

8 This is a big engine flight with -- we only had
9 about 70 seconds of burn time. There's the vapor trail
10 disappearing. And that thing will get pretty small.

11 And I think this is the one where those foreign
12 particles I was telling you about. Keep an eye out for them.

13 You're seeing the whole Southwest there. He's
14 probably gone to 250, 300 thousand feet. I think the record
15 was 400-and-some-odd-thousand feet.

16 Look on the left side of the screen now, and watch
17 for a flashby about the mid-point. There it goes. Did you
18 see it?

19 We spent a lot of time poring over that thing.

20 This is a landing. Okay. This is McKay's landing
21 after he couldn't get the engine lit and he didn't get rid of
22 as much of the propellant on jettison as we would have liked
23 to have had.

24 He came in high. He had apparently a hair line
25 crack in the left, I think it was the left rear skid. It

1 snapped off on impact, and about a second later -- a fraction
2 of a second later, the nose gear snapped off. And he's headi
3 about 300-and-some-odd knots, 390 knots; no, 390 miles an
4 hour, I think it was. His touch-down velocity.

5 He's skidding broadside down the length there. And
6 from touchdown to full stop was 12 seconds, at 390 miles an
7 hour. And the thing keels over on one wing and it flips over

8 Fortunately, he jettisoned the canopy as it was
9 rolling over upsidedown. And the crew was able to cut his
10 straps and get him out of the thing in a real narrow spot
11 between the ground and the rail where the canopy met, you
12 know. The rail of the cockpit. They just got him out.

13 He came out half an inch shorter, I think, in his
14 height. His spine was compressed on that thing. But other
15 than that, he really wasn't seriously injured at all. It's
16 just a real miracle in that that airplane got rebuilt, length ed
17 out, and those ^{pylon}~~pile-on~~ tanks put on. External tanks, to pick
18 up another 40 seconds, 30 seconds of burn time.

19 I've forgotten how much those things -- but that
20 airplane was a mess.

21 MR. ERTEL: I don't see how you could rebuild that'.

22 MR. OTTINGER: It took a while.

23 MR. ERTEL: It looks ready for the salvage yard.

24 MR. OTTINGER: We didn't -- the closest crane to ha
25 lifted the nose in case he hadn't blown that canopy was 100

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 2083 • (301) 439-5600

1 miles away though, So we got a portable hoist built up for
2 the emergency gear after that.

MR. ERTEL: When did you go to ^{work at} ~~Wrigley~~ FRC? How
4 long were you there?

11 was helping put the documentation together as well as verify
12 some of this stuff.

13 MR. ERTEL: Were you still at [{] Ellington [}] when
14 you creamed that RV-1?

15 MR. OTTINGER: I was there running the TV flight
16 test program then -- ground test at that time: we weren't into
17 flight test yet, but I was there at the time, In fact, I
18 sat in on the -- I was in my office when it happened and rushed
19 out as soon as we got the word and arrived at the trailer just
20 as Neal ^[Armstrong] was getting out of the station wagon.

21 We went in and sat down and had a post-flight on it
22 and -- it was real funny; he started lisping about five
23 minutes into the post-flight, You could sit next to him; you
24 could tell he wasn't -- he was unaware of why should this
25 happen, you know, and a little bit puzzled.

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1 It turned out he had bit his tongue when he got
2 the ejection boot, and his tongue was swelling up on him
3 and he was having a little speech difficulty. That was about
4 the only thing, I think, that affected him, besides probably
5 being a little bit sore.

6 Okay, I didn't do this, so let's take it back out.
7 Now then. There's a good reason for most levers and instruct ns;
8 right?

9 You know, I left before, however, the first flight
10 of the TV.

11 MR. ERTEL: Yes, that was too bad. Have you been
12 back to see any of them?

13 MR. OTTINGER: Yes, I've maintained pretty good
14 contact.

15 Am I glad to see these on a pad. That's down here
16 In ~~(I Central)~~ ^{El Centro}. That was our flying ~~time~~ ^{pipe} rack. That
17 simulated the weight and the CG of the LORV and we put our
18 ~~(drogue)~~ ^{drogue} system on it, as you can see there, the ~~drogue~~ ^{drogue} chute
19 and the recovery chute.

20 In case the jet engine went out, we wanted to get
21 that thing home on this chute system plus some emergency
22 rockets. And we were concerned with the stability of the
23 thing.

24 As you can see In those shots, it -- actually, we
25 had more chute deployment problems with the test set-up than

1 we did with the --

2 MR. ERTEL: (Inaudible.)

3 MR. OTTINGER: Oh, no. That's being taken on a
4 rise. It's on the down-slope, That's what --

5 KR. ERTEL: (Inaudible.)

6 MR. OTTINGER: It didn't go in, no. I'm sure it
7 dent in a few inches, but not what it looks like in this
8 picture. But we had to run a number of tests before we got
9 a proper deployment system out of the helicopter.

10 Those pads were interesting. Lockheed put those
11 on as a free ride. You'll see soae shots -- I've got some
12 slides at home, if it doesn't show the detail here, of --

13 Those things -- they are tubes that nave been pre-
14 out. Here's an ejection shot and the dummy.

15 We apparently didn't get the {seat} firing.
16 Unfortunately, these were clips that whatever, as I said,
17 I could get off the floor or scrounge or something, and some
18 of the3 have the key parts taken out.

19 Those landing pads -- they were energy absorbers
20 by letting the metal peel up in sections, an. I'll show you
21 ~~the (inaudible) areas~~, later today in the slides at home.

22 We had probably four or five ejections tests, most
23 of which were successful: a few problems. Seat: WE put a lo
24 of effort in on that seat, and i.t has paid off, obviously.
25 We have had three out of three, and the middle one with Al

(³ Greuning) was a fantastic recovery.

2 MR. ERTEL: (Inaudible) check those segments.

3 MR. OTTINGER: That gets to you, doesn't it?

4 MR. ERTEL: -- standing out there watching that.

5 MR. OTTINGER: Joe's a lucky man.

6 Some of this film isn't the greatest. This is the
7 onfiguration when It first came from Buffalo, of the first
8 V. Electronics on the back. There's Joe Walker.

9 The electronics on the back were standing up
10 ertically and -- this was all done. The equipment was
11 ranged to the CG requirements; as the vehicle design changed
12 hough, we had to really readjust --

13 MR. ERTEL: Who is that in the back?

14 MR. OTTINGER: That's Joe.

15 MR. ERTEL: (Inaudible) at an angle.

16 MR. OTTINGER: Yes. That's fixed base simulator
17 hat we built up there at Edwards an3 did a lot of work with.

18 MR. ERTEL: (Inaudible.)

19 MR. OTTINGER: Yes, oh, yes. Our first -- actually
20 e put in the hand controller probably -- I've forgotten
21 hether it was halfway through the program or a quarter of the
22 ay. It was --

23 ?EX ERTEL: It was the Gemini 3.

24 MR. OTTINGER: YES, it was the Gemini 8. In fact,

2: I'll show you some of the guys that did that work, that modif:

1 that thing for our system, when we are up there tomorrow.

2 MR. ERTEL: ^{Joe Walker said it was a tough} ~~(Inaudible)~~ simulator.

3 MR. OTTINGER: It was a tough simulator. It was
4 much harder to fly than the real thing.

5 MR. ERTEL: (Inaudible) the way they told me was
6 ^{Walker said he tried to keep away from that damn} ~~(Inaudible)~~. ~~(Laughter.)~~ ^{simulator}

7 MR. OTTINGER: The displays were interesting. They
8 had quite a changeover in the TV, of course, trying to get
9 up-to-date with the LEM.

10 That's the rack on the back of the simulator.

11 MR. ERTEL: 10-28 --

12 MR. OTTINGER: 10-28-64. This is the first flight.
13 No control van down there: we Just had one radio vehicle,
14 JHF vehicle, and this is --

15 Okay, here's the -- when I came back from Buffalo --
16 here's a NASA ^{ref} ~~(Inaudible)~~ back there during the RVN in desig
17 and fabrication and assembly.. Our guys at Edwards were putti
18 together the GSE and things, you know, and I'd try to coordin e
19 it from back there as much as I could, but the plan was to
20 trailer everything in a train down fro? home base -- home
21 hangar up at the north end of Edwards down to the south base,
22 where our flight area was.

23 And this was five miles across a lake be?, Eight
24 miles across the paved roads. And you had to cross the runway
25 and use radio vehicle equipment and everything, and it was jus

1 a big drag. We had 28 vehicles going down the first morning.
2 There's part of them; so we just stayed down there after the
3 first day. We ~~couldn't~~ ^{didn't} go back for, I think, quite a long
4 time.

5 We did all of our ground running and so forth until
6 we thought we were reedy for flight, before we went down there
7 So once we got down there and setting up ~~the dual~~ ^{to do on} checkouts,
8 we tried to to stick around on that ramp down there -- not
9 haul back eight miles, you know, on that trailer.

10 We used canvas covers, left the thing outside with
11 a guard standing by all night. In fact, we had in the early
12 phases there checking out the canvas cover we put over -- the
13 waterproof cover -- we went home one night saying, "Well, we'll
14 get a --" It looked like real threatening weather.

15 "Maybe it will snow real hard and then we will proof
16 load that cover." Come by the next morning, we had eight
17 inches of snow. (Laughter.)

18 MR. ERTEL: (Inaudible.)

19 MR. OTTINGER: Yes. You can just see the problem
20 of trying ^{to} tuck a rocket test cart we'd built up -- refreshe
31 and electrical checkout on the rocket system. And things
22 sure evolved in that.

23 We learned a lot as time went on an3 condensed thing
24 down, changed them around.

25 There's a blast shield. We are sitting pretty close

1 to the pavement with a vertical mounted engine and that gave
2 as problems. We had to -- we worried a great deal about the --
3 The original casters on those things were about a foot in
4 diameter. You can see that those are about six inches. We ha
5 to get rid of the big ones due to weight and CG.

6 We wound up -- our first' flight now you can see was
7 made with this rack, electronics rack, on the back laying
8 down, which was done primarily for CG control.

9 But with casters on the back versus the foot pads --
10 things like this -- we were playing adequate ballast all the
11 time, having to worry about our weight and balance. It was
12 quite critical with the limited control ability we had, and
13 winds of any kind.

14 We had to know within a 10th of an inch where our
15 CG was, and even the ^{fixture}~~flucture~~ of the structure -- weighing it
16 on the scales would, in a ^{cal} conventional weight and balance
17 procedure, would throw us off so much that we had to build
18 special fixtures to put -- to mount the thing up in the air
19 to take our reading.

20 It was really quite an involved process to get an
21 accurate weight and balance on that thing. Doing the engine
22 separately: doing the vehicle with the engine in it, and
23 things of this nature.

24 We hit a bad spot in the film here. I'm not sure
25 how I get this thing off.

1 There it goes. I was trying to (inaudible). Here
2 is my problem down in here.

3 If I pull on this --there's something -- I think
4 it's better to go ahead and pull it out by hand and hand wind
5 it. I hope it doesn't have any more like that, but we are
6 going to be ready on the switch if it does.

7 This is still this first flight caravan coming through.
8 Weather played a great part in our ability to get things done
9 out there, particularly when we got into the flight program,
10 because of the winds. And the temperature. During the warm
11 months, we -- during the warm weather, we had a temperature
12 problem on the jet engine, on the thrust.

13 We always had a weight problem on this thing. Our
14 coolest temperatures and our lowest winds, surface winds, would
15 be in the early mornings, so we would start these operations
16 at anywhere from one or two o'clock in the early stages -- for
17 the important flights, in order to be ready to go as soon
18 after dawn as we could -- to maybe standard reporting time
19 of 3:30 in the morning for any flight day.

20 In fact, as I recall, we had shifts set up so that
21 we, even if it wasn't a regular flight day, we would be used
22 to coming in at the same time every morning.

23 MR. ERTEL: Where did you live?

24 MR. OTTINGER: Lancaster. Most of the people lived
25 in Lancaster. Some of the crew lived in Palmdale.

1 We got rid of the big blast shield and went to a
2 small one. If that concrete would spall with the heat, we
3 would wind up having to replace our bolts and --

4 So when we serviced out about six, seven hundred
5 pounds of peroxide -- I think the tanks held 300-and-some-
6 odd pounds apiece. By the time you pry them out and get
7 everything checked out and topped off, you know, you go through
8 well, what would that be? Eight hundred pounds -- about 80
9 gallons of peroxide. Ninety percent concentration.

10 And you would have to have the rubber suits on to
11 service that stuff with. In the summertime it would be hot.

12 This is the first flight. And I may -- finally, I
13 just have to check out stuff: they've plucked out the actual
14 flight.

[telemetry]

15 We had TM manned up at the station five miles away,
16 and then I was on the radio down there at the base.

17 MR. ERTEL: (Inaudible) radio wasn't working?

18 MR. OTTINGER: No, we didn't even have that until
19 about Flight Number 15 or 20 or something like that.

20 MR. ERTEL: (Inaudible.)

21 MR. OTTINGER: All the -- yes.

22 MR. ERTEL: (Inaudible.)

23 MR. OTTINGER: I'll come back to this later because
24 right now, not being able to say half what I want to -- we'll
25 talk about those early TM days and some of the things we

1 learned. On the first flight, for example, we flew the whole
2 thing with malfunctioning relay. And we were flying with
3 both sets of rockets and didn't know it.

4 Well, they knew it up in TM, but we didn't know it
5 down there, and the pilot didn't really fully recognize it,
6 We were looking for so many other things that it got away from
7 us.

9 well enough to go ahead and correct the things. We took
10 plenty of time in-between operations to look at data and
11 decide what we should do, if anything, before we flew again.

12 MR. ERTEL: (Inaudible.)

13 MR. OTTINGER: Oh, this is priming before flight.

14
15

It

19
20 out.

21 MR. ERTEL: (Inaudible.)

22 MR. OTTINGER: Did you?

23 MR. ERTEL: (Inaudible.)

24 MR. OTTINGER: That's right. Yes. Have you been
25 told about the story about the seat cushions and the ejection

1 seat requirements?

2 MR. ERTEL: (Inaudible.)

3 MR. OTTINGER: Yes.

4 MR. ERTEL: ~~I could~~ just get a little bit of it.

5 MR. OTTINGER: Well, we'll go through some of it.

6 MR. ERTEL: (Inaudible.) -- screwed up with that
7 control that you had on the engine (inaudible) on the hand
8 control (inaudible) and he was doing something. After that
9 they de-activated it because (inaudible).

10 MR. OTTINGER: Yes. It'll come back to me. Yes.

11 MR. ERTEL: (Inaudible.)

12 MR. OTTINGER: We had quite an environment right
13 behind that cockpit there. We had JP-4, hydrogen peroxide,
14 the ejection rocket solid propellant, ^{low}hydraulic oil: we had
15 a lot of stuff that was crammed in right behind this seat.

16 We were always worried in the program about the
17 weight -- the problems of -- we were forced in by basic design: --
18 the whole thing in trying to do this job ~~is~~ a simulation was
19 the general equipment and technology available.

20 We were forced into doing things that we normally
21 wouldn't do in a conventional program.. And accept some of
22 these penalties and then set up the extra precautionary
23 measures that you would have to in order to -- you know, that
24 were justified because of it.

25 I don't know whether the rest of that stuff is worth

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

1 playing or not, at this point. I think it is just more of the
 2 same kind of stuff and I think maybe at the risk of the pro-
 3 jector, we ought to put another reel on, in consideration of
 4 the projector.

5 That's an old film.

6 MR. ERTEL: That's one thing that tends to --

7 MR. OTTINGER: I'm sure it's another splice problem.

8 I didn't think about it until now, but these guys
 9 may be wanting to get back into this room now. The gal's
 10 probably gone to lunch and these guys don't want to come in --
 11 barge in. I suppose I ought to go out and offer it to them
 12 if they want it.

13 Fortunately, I think we have seen the ^L~~L~~ORV stuff
 14 I had. I'll look at the other reels and make sure that -- to
 15 just see what else.

16 I want to re-verify this. There's some-
 17 thin; that he said. He's an ^{Loed}~~A~~VTOL. And he made 2 statement
 18 that we were the first ones to fly any vehicle for that matter
 19 aircraft type vehicle now, not spacecraft, with purely
 20 electronic controls with no mechanical backups of any kind,
 21 for attitude control.

22 I just want to verify that with him. I always
 23 remember that as scaring the hell out of me when we --

24 It says "X-15 footage" there. Now this is a lot of
 25 ^L~~L~~ORV stuff. They didn't need the room, so I will show this

bjg

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1 reel. It looks like a good reel. It doesn't look like I've
2 got any splices on that.

3 Now, I've got a groove that's -- oh, here. That
4 shouldn't be too hard.

5 Here we are flying a ^{VSTOL} ~~V-stall~~ which -- or ^{VTOL} ~~V-tall~~ --
6 t's not a ^{STDL} ~~stall~~ A ^{VTOL} ~~V-tall~~ which has got a first in terms
7 f control systems, variable stability, all electronic --
8 o mechanical backup.

9 A ^{VSTOL} ~~V-stall~~, plus adding the lunar simulation on top
10 of it -- it's to fit the LEM mission. It became quite a
11 unique aeronautical project -- ⁺ ~~RAID~~ type

12 MR. ERTEL: ^{I haven't decided on a} ~~(Inaudible.)~~ -- flying bedstead. They ^{for that}
13 used, I understand, ^{that was used.} ~~about 59 over~~ in England ^{before.}

14 MR. OTTINGER: Yes, that's -- that's why it wouldn't
15 o.

16 MR. ERTEL: -- a flying pipe ^{rack} ~~rack~~ or --

17 MR. OTTINGER: Yes. All those names have been
18 agged on it. I think there's been one or two names that have
19 een very peculiar -- or significant.

20 I'm sure we will flush some of *then* out tomorrow.
21 These are shots taken when it first was delivered from Bell.
22 We got it up on the lakes there. Let's see, no, there we're
23 n the fixture, on that center of gravity fixture. Have you
24 seen any shots like this?

25 Or have you seen (Lanny Pullman)? You haven't seen

1 any runs? Go through all this.

2 We had a -- this was a heck of a challenge to go
3 through the ground test program with the systems working as
4 much as possible. Jet engines systems, rocket systems, doing

5 Here we are out on the ramp on that CG fixture, and
6 we've got cable restraints on it. Rocket systems.

7 Yes, **there's** Joe flying the thing. He's got
8 friction rolls free; no yaw. Yaw is a non-critical axis
9 as far as control is concerned.

10 It's easy to control. But **he's** flying with pitch
11 roll free. Close loop. And he has a heck of a lot of con-
12 fidence in the control system to be able to do this in a
13 simulated flight situation with *a* hot rocket system.

14 MR. ERTEL: (Inaudible.)

15 MR. OTTINGER: Yes. Very good. Just for training,
16 but it was used a great deal in setting up and tweaking out
17 all the electronics and getting the feedback sensors in the
18 loop.

19 This is an ejection sequence and I'll go through
20 that with you in more detail later as to just how the system
21 works.

22 MR. ERTEL: is this like the Gemini machine'?

23 MR. OTTINGER: In principal. No, it's a modified
24 ~~Airport 0-6~~ ^{In force F-106} system. It's the lightest weight, highest powered
25 seat in the world.

1 We originally came in about 95 -- 96 pounds, in-
 2 cluding the parachute, seat, and rocket motor -- the entire
 3 system was about 96 pounds.

4 We added on a rocket to improve the thrust capabilit
 5 by impulse -- total impulse -- by about 50 percent. We added
 6 about 10 pounds, 15 pounds, onto the system, before we got
 7 through with all the things the pilot wanted on it and so on.

8 Now this is a firing through the canopy, styrofoam
 9 canopy, that we put on. The pilot's boot, the dummy's boot,
 10 in this picture hit the corner of the simulated instrument
 11 panel and it imparted a roll and yaw moment, which made that
 12 thing twist.

13 Neal and Bud *(Rheam)* and ~~Neil~~⁴ Armstrong were watching
 14 that particular shot and they just turned their backs and
 15 walked away.

16 The dummy's boot was broken in half and the thing
 17 went wild in gyrations, but the chute came out and the recover
 18 was fine. And the shot -- since we could identify what was
 19 wrong and what happened and follow up with the right clearance
 20 and so on, we called it a successful shot, because we could
 21 explain away any of the anomalies on it.

22 MR. ERTEL: (Inaudible.) *They're watching because they know they'd be use
 to use it eventually.*

23 MR. OTTINGER: Well, this was the final qualification
 24 for the LAIVC. Before we ever flew the TV.

25 This is the J.P. Forest servicing. We had about

1 400 pounds of jet fuel on board split in two tanks, one front
2 and one in the rear. And then the peroxide tanks on the side

3 It usually took us three to four hours to come in
4 in the morning and get the power on and start checkout with
5 our various systems, The longest time was getting the flight
6 control system pre-flighted.

7 Those checks were quite complex in the beginning.
8 In fact, I think our first ones were ten or twelve hours,
9 something like that. And then we got it down. And then,
10 eventually, into the TV, got into some automated checkout
11 equipment.

12 But --

13 MR. ERTEL: (Inaudible.)

14 MR. OTTINGER: Yes. This was an X-15 recovery van
15 that we used until we got our own van, any time it was avail-
16 able. We had no TM in that until we got our own van.

17 As I say, I've forgotten how many flights it was.
18 It was something on the order of 15 or 20 flights, I think,
19 before we got our own van.

20 You see the can in front of the electronics rack in
21 the back? That contains the ^{air}(drog) chute that you saw the
22 ^{air}drog tests with that pipe rack. ₃

23 And in the event of a jet engine failure, the pilot
24 would come on with a lift stick down here by his leg with his
25 left hand. He would move his hand from the jet throttle down

1 to this lift stick, pull **It** up, and then he would turn on
2 six emergency rockets, three on either side of the thrust, *plu*
3 the two normal lift rockets.

4 They would have eight rockets burning at 500 pounds
5 apiece, plus a stabilization chute, and he would be able to
6 make the emergency landing without the jet engines, without
7 arrangement.

8 It became such a tricky thing to -- after we got
9 some flight experience under our belts -- to manage this
10 thing from an energy management standpoint. In other words,
11 as we were flying, we would use fuel for attitude.

12 If we ran lunar ^{sim} SEM, we would use fuel for the
13 normal lift rockets to provide the lunar thrust equivalent.
14 So your tanks would be dwindling down, you know, and what
15 was remaining throughout the flight -- as a result, the fuel
16 available for emergency recovery would go down.

17 The capability of recovery from, let's say, a given
18 altitude would change. I didn't word that right, but I mean
19 your altitude recovery capability goes down as the fuel that
20 ~~you~~ have available for emergencies goes down.

21 And **it** is also not just a function of altitude, there is
22 vertical velocity. if you had a high vertical velocity, you
23 know there is maybe a low altitude, you still wouldn't have
24 enough left to kill off that velocity -- the vertical thrust.

25 So It became a -- after accumulating jet engine

1 reliability, a good feel for that, and it was good. In
 2 recognizing some of these energy management problems and
 3 playing with the simulator more and more, the ground base --
 4 fixed base simulator, and It was an extremely marginal thing
 5 for an experienced pilot even to feel confident that he could
 6 make a successful emergency landing.

7 *Jack? Kluener, Klooner, Hoover?*
 8 So (Cloover) had a great deal of influence on this
 9 along with *Don Mallich* (Maleck) and the others, but he took a lead in it
 10 in terms of getting rid of that crutch that might get an
 11 astronaut into trouble,

12 Let's put our eggs in the good ejection seat and a
 13 good set of standard procedures instead of maybe giving him
 14 a marginal crutch to use. Because, you see, if you give him
 15 that crutch and he -- and it is poor and he does try to use it
 16 you're just putting him in a more unfavorable ejection
 17 situation.

18 But why take a chance? Blow him out in the ejection
 19 seat and --

20 In retrospect, it was a damned good decision because
 21 we have yet to have a -- we've gotten through all the problems
 22 we had without a jet engine problem.

23 We know we've got a reliable seat. We saved a great
 24 deal of weight. And we also had some other things in this --
 25 down at Houston in this energy management situation, which
 pointed back to that being a very wise decision. Get rid of

1 those emergency rockets.

2 So **we** took the drog chute can off and the whole
3 works. These are sequences when we got the cockpit on. You
4 can see **we** were flying it without the roof there.

5 The radar on thst thing was an antiquated radar.
6 Landing radar for getting some vertical height readings. We
7 had a doppler for velocities. But it was quite an antiquated
8 radar, so when we went to the TV, ⁶ Ryan designed and built
9 a complete **new** radar system, both --

10 Let's see, I've forgotten now if they did the
11 altimeter. I know they did most all the instruments for the
12 radar system. I think they did both.

13 Let's sen, **we** used out of the Gemini -- not Gemini,
14 out the LEM. We used the LEM hand controller. We had some --
15 Minneapolis-Honeywell made some nods to it, but it was basical y
16 a standard LEM hand control.

17 MR. ERTEL: (Inaudible.)

18 MR. OTTINGER: I'm sure it was. (laughter.)
19 *Coover? Klumner*
(Coover) got into that thing and flew it like it -- as
20 strapped onto his but. He just really -- he went down to
21 Houston to put on a show for the astronauts and I guess they
22 were quite impressed.

23 Like the time he came on board to replace Walker.
24 Walker was put on the B-70, and he'd been off, I guess, our
25 program for three or four months at the time he was killed.

1 How come that happened? Did I lose a splice? I
2 guess I must have.

3 MR. ERTEL: (Inaudible) capitalize the end, but --

4 MR. OTTINGER: Let me use this tape. Have you seen
5 many of these movies like this?

6 MR. ERTEL: No, I haven't. I checked a couple here.
7 I saw some ⁱⁿ ~~(vacant)~~ Houston ^{when they first got back there} ~~might have some.~~ (Inaudible.)
8 Just so many years ago, it was just a curiosity item.

9 MR. OTTINGER: I've been meaning to get over to
10 Weber and see their movies -- they always get a copy of the
11 ejection -- the live ejections, for evaluation of the seat
12 system. I've been meaning to get over there and look at them.

13 I've seen -- yes, I did see Joe's, and Neal's, of
14 course. I haven't seen the one that happened --

15 MR. ERTEL: (Inaudible.)

16 MR. OTTINGER: Yes. Joe said that was sure a text-
17 book ejection. He had a perfect attitude and altitude and
18 low descent rate, just like Neal. Neal's was beautiful. He
19 had all kinds of --

20 Let's see if there is any more that we should look
21 at. I guess that's it.

22 We'll take off now for a quick sandwich and then --

23 (Short blank spot on tape.)

24 MR. OTTINGER: If we have the time, we'll drop by
25 that south base tomorrow while we're up here, and you can see

7675 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1 the sights. Those are a couple of hangars down at the ramp.
 2 Generally the base puts their ^{VSTOL} ~~V-stall~~, all their
 3 ^{VSTOL} ~~V-stall~~ stuff down there. We had company down there from tim
 4 to tine. I think we out- lasted most of them: but we had
 5 everything from the Army's caribou on ^{STOL} ~~(Stole)~~ to Lockheed's
 6 flying bedstead, they called It. They never really got to fly
 7 that.

8 ~~(Inaudible.)~~ I can't recall that. Orion XP5A --
 9 there were just quite a Few. And the U-2's were down there.

10 (Inaudible.)
 11 The ^{F-102} ~~X-0-2~~ landing recovery tests.

12 MR, ERTEL: Why is the (inaudible) the best?

13 ME. OTTINGER: Yes, that's what it is. It's gravity
 14 pull. I'll fix that.

15 *Ertel* . *A glitch in the system*
~~You can switch this.~~

16 MR. OTTINGER: Yes. It needs more prop.

17 Did you ever see those U-2's flying?

18 Hello, (Uma). That's my pooch.

19 That's the rocket base. They fired the Saturn engi s
 20 on there on that ridge. *That's* ~~Loch Lomand~~ ridge they called it.

21 Edward's test station.

22 There's our ground servicing area before we put our
 23 hangar in, and generally what we had to work with over there.
 24 It's five miles away from our (tanks). It turned out to be
 25 a remote site operation and gradually built up the little

1 langar and trailers and stuff, and we had our own operation.
 2 We used to report to work and leave from there.

3 We had our own transportation.

4 MR. ERTEL: ~~(Inaudible)~~ *we had a building at Elli* For about three years *for*
 5 ~~was (inaudible)~~. I loved that.

6 MR. OTTINGER: Yes.

7 MR. ERTEL: We stayed away from that crew altogether.
 8 :Laughter.)

9 MR. OTTINGER: Ch, yes. We all enjoyed it down there.
 10 I had a little hibachi and we had a freezer and we had a range
 11 down there and a refrigerator. We took the little hibachi
 12 out --

13 *Wife-tyme* : (Inaudible) steaks out of there,

14 MR. OTTINGER: They busted in on a Saturday night
 15 and they stole all the tools. We had three or four guys wit?:
 16 out any tools. I was taking it pretty cool until we found
 17 out that I had about \$20.00 worth of steaks out of the freezer
 18 missing. Then I lost my cool.

19 MR. ERTEL: ~~(Inaudible.)~~ *That was on the south base?*

20 MR. OTTINGER: Yes, that was south ~~(bay)~~ *base*

21 Now, this is --

22 MR. ERTEL: What's the ~~steak (inaudible)?~~ *story about that snake?*

23 MR. OTTINGER: In the same part.

24 MR. ERTEL: (Inaudible.)

25 MR. OTTINGER: Well, we -- I know when Neal had to

1 eject, the thing come in inverted, and about 3:00 that after-
 2 noon we had it picked up out of the ~~(verd)~~ ^{dirt} with a crane, out
 4 of the grass there between the runways.

5 There was a half-burned, still alive snake that the
 6 vehicle had crashed on top of, and this thing was trying to
 7 crawl out froa under him when the crane picked this thing up,
 you know. It was burned real bad, but it was still alive,

9 But we used to find a lot of snakes and I know some
 10 of my crew would get garfish and put the garbage can down
 11 there and bring a guy up and get him right next to the thing
 12 and pull the lid off, and that garfish would come flying up
 13 at him.

14 And one of our troops found a big -- real record
 15 length coral snake down there. Got him all boxed up in a
 16 Houston zoo. They come out and got him.

17 *Wife-type* : (Inaudible.)

18 MR. OTTINGER: These are sir-show pictures here, and
 19 they are mixed in with *these* slides. The next slide tray
 20 is all a lot of these things. These are just a few thrown in.
 21 141.

22 *Wife-type* : (Inaudible).

23 MR. OTTINGER: I got my new camera, and that's --
 24 you can see that's the runway, or the ground next. to the run-
 25 way. *it* (inaudible) and that's the touchdown at about 150

(31) 49 - 560

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 8

1 knots. 120 knots, probably. I've forgotten the kind of air-
2 ~~port~~ ^{plane} we were in, but I was just seeing how fast (inaudible).

3 Here's (Refken), and that's taken out here at
4 Clark's field at Lancaster. It's a mini-Mustang. Remember
5 I told you some of the structural mods and the hand controller
6 mods that we did to that Gemini 8 hand controller.

7 A lot of the machine work we did was done by a
8 guy by the name of Charlie (Wen). You'll meet him tomorrow
9 at the machine shop. He built that mini-Mustang by hand.
10 That's a fifth scale Mustang ^{P-51} ~~351~~.

11 Flew it at 200 miles an hour, and he's gone all over
12 the country in it. He's written up in a lot of magazines and
13 books. He's got national recognition over it.

14 One of our engineers out here took it within six
15 months after that picture was made, and he's working on
16 ~~(inaudible)~~ ^{with para} glider guy, and he told us -- real sensitive
17 stick, and he made two fast (inaudible) pullaways. Wiped out
18 the whole thing. There was no way insurance -- killed him.

19 And Charlie went right to work and built another one
20 It took him about three years to build that one.

21 We were laughing in the tent the other day about
22 the B-58 we used to run the capsule ejection tests out of.
23 Rears, Live bears. One time the hypos didn't work right
24 and the bear got loose and really mauled up one of the handlers
25 when they were loading him into the capsule.

1 MR. ERTEL: When did that happen?

2 MR. OTTINGER: Oh, back in the early '60's.

3 MR. ERTEL: (Inaudible.) What happens to bears
4 ormally? Do they get along all right?

5 MR. OTTINGER: Yes. I don't know if they lost any
6 r not. I wasn't that close to the program. They were
7 hooting them off. They were flying around making their
8 uper-sonic ejections with the capsule.

9 I think it was super-sonic ejection. I think that
10 as the eventual goal.

11 MR. ERTEL: ^{we had pig drops in the Mercury program}
~~(Inaudible.)~~

12 MR. OTTINGER: Up to 15. It's got the old -- every-
13 hing I taped at the air show. (Inaudible.)

14 They didn't have an air show this year. First time
15 n 20 years.

16 Here's some shots on -- here's a guy with an engine
17 roblem coning in the wrong way against the traffic in one
18 f *the* air races out here at the flight test. (Laughter.)

19 He peeled out of the group when he got fouled up.
20 limbed up and then came back, and came right back down through.
21 ost of these were P-51's that fly in the air races there.

22 Did you ever hear of that old Pontiac? They had
23 a special engine and transmission in that thing.

24 The next thing when the ^{para}~~(prayer)~~ glider program
25 started out, and the ^{para}~~(prayer)~~ glider is ^{in one of these shots}~~then running this show~~.

1 It must be in the other room.

2 Here's one of those pipe racks that didn't work.

3 Anyway, that Pontiac would used to ground ^{tow} ~~(to per)~~

4 gliders and (lifting bodies) with it. The thing would do

5 about 170 on a lake bed, and 150 towing.

6 MR. ERTEL: (Inaudible.)

7 MR. OTTINGER: Yes. This got hung up due to the
8 deployment system. We really didn't go back and change the
9 design of the drogue ~~chute~~ as a result of any of the testing.
10 As I told you earlier today in the movies, all the problems
11 that we had -- and we had to re-run this test six or eight
12 times to finally get a couple of good repeats, to make sure
13 the stability of that drogue ^{line} ~~chute~~ was okay.

14 And the problem was in the deployment out of the
15 chopper when you dropped it and getting that system deployed
16 and actuated and so on.

17 MR. ERTEL: (Inaudible.)

18 MR. OTTINGER: Okay. Now this thing that Lockheed
19 put on that thing is just a test for a new impact absorber -
20 energy absorber. You can see the way they peeled those back
21 End started to split.

22 MR. ERTEL: Yes.

23 MR. OTTINGER: Well, that thing is supposed to get
24 his landing pad and keep on.

2: MR. ERTEL: (Inaudible) roller plate.

1 MR. OTTINGZR: Yes, ^{peel} ~~seal~~ it on up. It's quite a
2 peel. And that will absorb that energy and be a real cheap --
3 here's a close-up of the chute. It's tangled.

4 MR. ERTEL: Do you want these on here? Several
5 things like this.

6 MR. OTTINGZR: This will add a little flavor in it.

7 MR. ERTEL: Yes, that's right. The shell -- the
8 early problems and what was the (inaudible) automatic ejector
9 (inaudible).

10 MR. OTTINGER: Well, there's -- there is a shot
11 taken from where we eventually put our hangar on the south
12 base; now that hangar has been moved away since then. It was
13 a little old 40 by 40 building.

14 And that was taken since we got our -- you can see
15 our control van out there.

16 We had a ^SYellow ~~heli~~ helicopter on lease throughout the
17 program to keep the pilots trained up in proficiency so the
18 pilots could --

19 MR. ERTEL: Do you spend much time (inaudible) those

20 MR. OTTINGER: A little bit. Not a lot.

21 MR. ERTEL: I never liked --

22 MR. OTTINGER: I sever did have to ^{pick'em that} ~~write~~ about much.

23 MR. ERTEL: Yes. (Inaudible.)

24 MR. OTTINGER: This is the water tower service,
25 emergency shower (inaudible). There's the slab for a little

1 40 by 40 hangar we put in. Eventually we had to put in trail
2 because we outgrew that. Just barely enough room to get two
3 ships in there, with some of the check out equipment.

4 There's the U-2's. So that's that tray. I'll get
5 the other one in.

6 That's Johnson's visit set up there. And that was
7 before we lowered the rack, before our cockpit was changed
8 around, and we did a lot of messing around deciding how we
9 wanted to display the things.

10 We were still too early in the program to put on
11 any kind of live demonstrations.

12 MR. ERTEL: (Inaudible.)

13 MR. OTTINGER: So we just sort of simulated a
14 cockeyed landing like that. We had light bulbs screwed in
15 where all the rockets were -- taped on and temporarily wired
16 up so that the guy back here at the console could run through
17 I can't remember if Walker was in the cockpit faking the contr
18 movements and then the guy at the console would flash the
19 Lights, you know, where the rockets were, as Joe talked.

20 So you can see where these things were located, and
21 we had talked about using some helium gas with a -- and just
22 letting them, with a low pressure, you know, with a colored
23 smoke come out. But that --

24 MR. ERTEL: (Inaudible.)

25 MR. OTTINGER: Yes. And all that was for Johnson.

7675 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1 Oh, one thing. On the cockpit of that -- this was in October --
2 now the '64 election was in November, and Goldwater was running
3 and they had bumper stickers out -- AUH20 for Goldwater.

4 We had a big warning light panel in the cockpit and
5 I had an amber lens, made up with AUH20 on it, wired it in with
6 a switch down here, and gave the lens to Joe Walker, because
7 Joe was going to be in the cockpit with Johnson.

8 In fact, they were going to sit in the seats, see.
9 So we had it all figured out. Here it is, three weeks before
10 election. We thought we would get a big charge out of
11 flashing Goldwater's bumper sticker sign. You know, AUH20,
12 the chemical symbol for Goldwater.

13 So, we showed the thing to Bickel, and Bickel --
14 he didn't know what it meant. And so -- he hadn't seen the
15 bumper signs and he didn't know that's what it meant, so one
16 of the guys got him off and told him and he got a big kick
17 out of it.

18 He didn't care. So ^{Dee} ~~Dee~~ Beeler got wind of it,
19 and the morning that -- he was worried about it. And the
20 morning *that* Johnson was to visit, he called me up per se.
21 And he called me up and he says, "Wayne, I want that lens
22 up in my office. I don't want you to use it,"

23 I said, "I'm sorry. I gave it to Joe Walker. Joe
24 Walker has got it in his pocket." And Joe had already gone
25 down to -- Joe had gotten the word that ^{Dee} ~~Dee~~ didn't want it,

1 and he used his better judgment and didn't put it in, But
2 we thought of it.

3 MR. ENTCL: I doubt seriously that with so much
4 wrong that L.B.J. would have caught it.

5 MR. OTTINGER: He probably wouldn't have. It was
6 sort of a gamble. I could be either --

7 MR. ERTEL: And later he probably would' have laughed
8 like hell.

9 MR. OTTINGER: He probably would have. You know the
10 kind of people -- a lot of them would -- there's a hunch of
11 51's lined up to the start on that air race,

12 There's a pack of them in there. They are all about
13 100 foot. Look at them there. They are more than 100 feet,
14 aren't they?

15 MR. ERTEL: It looks like it.

16 MR. OTTINGER: Okay, there's an interesting shot.
17 That's before dawn with the lights on and "the guys working on
18 the check out. They are out of the scene of these pictures.

19 MR. ERTEL: There are lots of things I'd like, like
20 that one.

21 MR. OTTINGER: I can remember. I'll remember.

22 And there's a shot of the early control panel that was manual.
23 It took this -- quite a few hours to check out the system with
24 that. Nothing really automated in that. Guys heving to
25 patch in most all the checks along the way.

1 MR. ERTEL: What kind of a shot is this? (Inaudible
2 in color,

3 MR. OTTINGER: Yes.

4 MR. ERTEL: But that other --

5 MR. OTTINGER: There's an early morning prime before
6 light.

7 MR. ERTEL: *That's an awfully good shot there*
(Inaudible.)

8 MR. OTTINGER: There's -- you'll see I've got some
9 shots somewhere of this attitude system. Oh, that's the lift
10 system, trying it out. And that is true there. But we will
11 get more of the attitude system. It's disappearing --

12 That's a good cold morning, see. The colder it
13 gets, the more steam you get when you prime then out.

14 There's one. There *you* got the attitude system and
15 the lift system. It looks like a calliope. One of those,
16 I've got blown up.

17 This is the control van and I was ~~frightened~~ *fighting* -- I
18 was allowed one vehicle for control 2nd rescue, and I -- so
19 there's what I ended up with, And then we wound up getting
20 it so loaded down, you'd never use It for rescue!, so we
21 eventually took the rack off the top and -- but we ha3 to have
22 that *height of* ~~height~~ rack to get into the cockpit -- unless the *logs* ~~lights~~
23 were *crumpled* (inaudible) and then we could use the pick-up.

24 But as it turns out, I believe they are using today
25 a pick-up truck that's got a high enough platform on it that

1 they can get into the cockpit if he needs help.
 2 ~~(Trout)~~ ^{short} was the problem -- you know, this is the
 3 replica, duplicate light panel in the van as to what the
 4 cockpit has. And then, in addition, in the van I had -- well
 5 we looked at about 60 channel of data? 60 or 70 channels of
 6 data, real time, on the rocket system, control system, the
 7 jet engine system, all the pressures, the sequencing, the
 8 whole works.

9 And it took about five of us inside that van to
 10 run a ~~(ply)~~ ^{plot}. But I had the UHF controls all in front of ae,
 11 and I did the communicating, with the pilot. And had the
 12 check list there. And then I'd use these other three or
 13 four guys to back me up and feed me information. Relay to
 14 the pilot when he ran into problems.

15 MR. ERTEL: (Inaudible.)

16 MR. OTTINGER: Right. (Laughter.) Now that first
 17 light, -- I had Mike Mahan, that's all I had, and we had the
 18 FM station up there on the line. They never said anything.

19 I kept -- an: Joe ~~picked~~ ^{took} it up -- about, oh, he was
 20 supposed to ~~pick~~ ^{take} it up about two or three feet ^{higher,} and come on
 21 back down and just get a minute or two of feel for it In two
 22 or three feet.

23 So he goes up and he gets about three or four minutes
 24 in about ten or twelve feet. And he scared the hell out of me
 25 I didn't want to see him get that far away from the ground

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1 And I was sitting there yelling at him that I
 2 haven't got the guts to key the ^{microphone} ~~mic~~ rolls. I mean, he's
 3 quieter- and he -- I was just biting my tongue and I'm yelling
 4 Just to relieve my own tensions. I was about as nervous as
 5 a --

6 MR. ERTEL: I forget who it was. Somebody in
 7 Buffalo told me ^{that you were sitting out} ~~he was not there~~ -- the voice kept these
 8 ~~guys down, you know, and~~ everybody was yelling, especially
 9 you, (inaudible) you couldn't separate the voices and make
 10 any sense of what ~~anybody~~ anybody was saying.

11 MR. OTTINGER: Yes. Well, it started out as a riot
 12 and it worked itself out gradually flight by flight until
 13 finally we got our own van in, and we would keep having one
 14 incident after another. We'd get smarter, and before long,
 15 we had a pretty reliable --

16 MR. ERTEL: (Inaudible.)

17 MR. OTTINGER: Yes.

18 MR. ERTEL: That's what I need. Because what I want
 19 to do is --

20 MR. OTTINGER: Go from that to --

21 MR. ERTEL: I want to show the van --

22 MR. OTTINGER: To what they have got at Ellington
 23 today.

24 MR. ERTEL: -- control center (inaudible).

25 MR. OTTINGER: Yes. That's a real seat of the pants

1 comparison.

2 MR. ERTEL: (Inaudible.)

3 *Wife type* : What you should do is show him the one
4 that's of -- not Joe, but the one that wasn't (inaudible).
5 The first part.

6 MR. OTTINGER: Well, no, we haven't got any pictures
7 of that. But you'll get to meet the first guy that it really
8 *fly it* ~~did~~ the first time, and that's the crew chief.
9 :Laughter.) It didn't have a jet engine then.

10 During tie-down tests, we were running a rocket
11 test, and it was the first time that the rocket was ever
12 fired, and we didn't want to take a chance with a complete
13 new rocket system and vehicle. Of testing live with a half-
14 million dollar Jet engine in it. Quarter-million dollar jet
15 engine.

16 We didn't have that many around in the first place.

17 MR. ERTEL: How was that jet engine --

18 MI. OTTINGER: All right. it was very, very excellent ...
19 I would say we had -- I think they did an outstanding job.
20 And it's not just because I worked for GE before I --
21 [Laughter.]

22 But I'm an old engine man out of Evandale. And I
23 hadn't worked at Lynn before.

24 MR. ERTEL: Whoops. *They goes own picture.* ~~(Inaudible.)~~

25 MR. OTTINGER: This is a shot -- I'll tell you more

1 bout it when you meet Ray White. You'll meet the first
2 rew chief tomorrow.

3 I'll tell you more about that little incident of
4 im flying the thing without an engine in it. It's an
5 nteresting and --

6 MR. ERTEL: Yes, I need ^{to get things} ~~anything~~ like that (inaudibl).

7 MR. OTTINGER: Oh, yes. Right. Put a little humor
8 n.

9 We'd start the thing with the conventional jet
10 tart cart that's caught on the back of that trailer. And
11 e've kept the APU's off of the big trailer running until we
12 ould transfer power, got the jet engine running to transfer
13 he power, go on internal vover.

14 Then that truck could be -- the electrical could be
15 isconnected and take off. And we used old B-29's ^[auxiliary power in its] -- APU's
16 n that truck to furnish external power with.

17 It was quite a little operation to get that thing
18 ll coocrdinated.

19 Those are a couple of (turnical) bottle banks of
20 helium and nitrogen from the back of the trailer.

21 Joe Algranti ~~is~~ we hauled that thing down to Houstc .
22 Gave it to Al ~~(Greuning)~~ ^{Algranti} for his troops.

23 ~~MR. OTTINGER:~~ Now, there's a B-70 taking off In the
24 background, and we had a pretty good flight. Every other
25 light or every flight -- that B-70 would have its gear

767 NEW HAMPSHIRE AVENUE, SUITE 210 ■ LAN EY PARK HARYLAND 0783 • (301) 43 5600

1 problem, and become an aeronautic emergency. Well, we were
2 setting there right in the center of the lake bed cross-wise,
3 so to speak, so that we had a perfect view by getting up high
4 on some of our equipment.

5 We could see that. And we'd lose our firetrucks
6 and everything else in these emergencies that we had. Our
7 operations would be shut down.

8 MR. ERTEL: I was ~~with (inaudible)~~ *at Downey the day the accident happened*

9 MR. OTTINGER: That was *my* first day of work at
10 Bell. That was my first day in the plant in Buffalo as a
11 new employee.

12 MR. ERTZL: Was that June the 4th or 5th?

13 MR. OTTINGER: Yes.

14 MR. ERTEL: June the 4th ~~(inaudible)~~ *was my birthday*. I guess it
15 was June the 5th. (Inaudible) on June the 4th. My wife and
16 I were married at the time and we both came out here together.

17 She was working in public affairs and I was working ~~at~~ *for*
18 ~~Institute~~ *History Institute*

19 And we ~~(inaudible)~~ *arranged to be* out here together and everybody

20 ~~(inaudible)~~ Or" course, everybody was sick everywhere about
21 it.

22 MR. OTTINGER: Yes.

23 MR. ERTEL: Because it was so useless. *A waste of talent.* ~~(inaudible)~~

24 MR. OTTINGER: Yes.

25 MR. ERTEL: That's a beautiful shot there.

1 MR. OTTINGER: Yes. There's some back to the B-79's
2 It's landing on the lake bed.

3 We tried to operate as much as we could before we
4 got that facility in down there. It really paid off. We
5 even shared space with the Aero Club on the base in one of
6 the old hangars for a while in order to avoid, you know,
7 getting them in --

8 There's a good shot.

9 MR. ERTEL: There's a good shot. (Inaudible.)

10 MR. OTTINGER: We got to where when we got to going
11 higher in altitude and expanding our envelope and worrying
12 about higher velocities and higher altitudes, we started with
13 a balloon -- Just didn't have any instrumentation on it, but
14 we could figure from the angle of the balloon, from its tie
15 point, whether we really had anything that would bother it.

16 Combined with that plus the air speed readings out
17 of the helicopter, which we had always sent down, we could
18 make sure we stayed out of trouble and stayed within our
19 control limits throughout our flight envelope in altitude.

20 And we would get tricky wind conditions even in the,
21 you know, under 500 feet there where you get these transitions.
22 And it turned out Ellington's got them too and they --

23 MR. ERTEL: Those wind ^{sheers} ~~(Jeers)~~ they call them?

24 MR. OTTINGER: Yes. And it's murder with a vehicle
25 with limited controls like this. So you've got to pay attention

1 so it and it's --

2 MR. ERTEL: I think now when the chopper stays on
3 the ground you've got --

4 MR. OTTINGER: ^{do that} ~~You've got it~~ right?

5 The lifting body -- they had a problem with chopper
6 in the landing pattern. It really wasn't in a position but
7 it did bother the pilot, and he had a couple of other --

8 (END OF TAPE ONE, SIDE ONE.)

9 (START OF TAPE ONE, SIDE TWO.)

10 MR. OTTINGER: -- Corky Meyers, from way back in
11 the 1-F days (inaudible) 1-F days.

12 MR. ERTEL: ^{OK we're back in business now} (Inaudible.)

13 MR. OTTINGER: Well, these T-birds, they were there
14 at the air races and I was sitting out there near the inter-
15 section of these runways that they were using as their focal
16 point on their four-cross, you know.

17 MR. ERTEL: Yes.

18 MR. OTTINGER: This is not the four-cross deal. It's
19 similar to that.

20 MR. ERTEL: (Inaudible.) (Laughter.)

21 MR. OTTINGER: This bomb burst is something. Isn't
22 that a nice sequence? Look at that (Plimpton) going up
23 through the center.

24 Isn't that something? Now, there's three airplanes
25 out of the four making the cross, and to get those in one

1 frame --

2 I tried to convince myself I had the fourth one in
3 there somewhere, but it's got to be coming from the --

4 MR. ERTCL: Prom the outside of this.

5 MR. OTTINGER: Either that or it's got to be already
6 by and on the left. And I don't know which.

7 MR. ERTEL: (Inaudible) two are coming in from the
8 left and one from the right. The other must be just on the
9 outside of the frame.

10 MR. OTTINGER: Yes.

11 MR. ERTEL: (Inaudible) photography.

12 MR. OTTINGER: As close as those three are -- and
13 I st l don't see the fourth. Do you? I'm still proud as
14 hell to get the three.

15 MR. ERTEL: That's right.

16 MR. OTTINGER: I was pumping away on that shutter.
17 Depending on *the* angle that you're shooting at --
18 isn't that pretty?

19 MR. ERTEL: That's right. That's another thing
20 (inaudible.)

21 MR. OTTINGER: Yes, that's true. It's just that --
22 that's (Fonder's) sister. She's downstairs **now** with the boys.

23 That's some air pilot.

24 And that used to -- well, we used to battle over
25 fire trucks between our program and that program, and --

1 FIR. ERTEL: I hated to see that one go down the
2 drain like it did. I never really --

3 MR. OTTINGER: There's a take-off.

4 MR. ERTEL: I had a chance one time to go up to
5 Ediards and see that baby fly.

6 MR. OTTINGER: Never did do it.

7 MR. ERTEL: Never did it. And I was so sorry.

8 MR. OTTINGER: Look at that P-38, would you? That's
9 flying. That P-38 is flying on the right of the 5-70. He's
10 probably doing, oh, 150 knots, whatever his minimum air speed
11 is.

12 Oh, now look at him there. He's still there in the
13 picture. Can you find him? See the P-38, with his gear down?

14 MR. ERTEL: Yes, I know --

15 MR. OTTINGER: Sane type (inaudible), Have you
16 had some?

17 MR. ERTEL: Yes.

18 MR. OTTINGER: He's still what -- 20 feet off the
19 deck and he's about the same altitude. He's about even with
20 the top of that thing.

21 MR. ERTEL: (Inaudible.)

22 MR. OTTINGER: Would you like a *shot* -- would you
23 like to use that? ■ mean, there's that and the plan form
24 on that ^{f-} P-38 and the 15 *and* things like that that are just odd
25 things that you just run into --

1 There he is again.

2 MR. ERTEL: That's just amazing.

3 MR. OTTINGER: There's the 13. I've got a take-off
4 sequence on him. You can see the distance of the runway. Now
5 that's a 70 over there in the middle of the picture to the
6 left just a little on take-off, with its nose up.

7 So we had a pretty good view with our ramp out there
8 where we were flying from. It was a whole operation. And,
9 of course, we'd have to cross the runway to get back home so
10 to get over to the shops to do work with, so we had a lot of
11 waits down there at the end of the runway, and a lot of --

12 Look at that cartoon on the side of the 52.

13 There's the three 104's. One of those is what Joe
14 was flying when he had the mid-air, one of those three.

15 There's a take-off roll on the 15.

16 Right here where we're standing is the -- right near
17 the end of the runway. And one summer early in the 15 program
18 we had a -- right after take-off, we had a power problem with
19 the breaker assembly. We thought it was just a breaker, on
20 the climb-out. It was the launch site.

21 So we told them to come back in and land and we
22 would -- we figured we knew what the problem was -- we'd re-
23 spect this breaker and it would go. It wouldn't jettison, you
24 see. We'd still make that flight. All you had to do was
25 come back in and land.

1 Well, it was a hot day and time was wearing on and
2 e comes in heavy and -- the 52 is heavy as ^{hell} -- and he blows
3 ll his tires. And they are all -- every last one of them
4 s gone by the time he's at the end of the runway.

5 See, at the end of his row. And he couldn't even
6 et it off the runway very well. He just barely got it off
7 he edge, and we rushed down there because we knew we got a
8 oaded 15, and it's not in our service area and we haven't
9 ot any facilities to handle loaded propellant, you see,

10 It's got 15,000 pounds of propellant on board. We
11 ot down there, and I was in the first truck to get to it.
12 e had a precaution system.

13 The doggone smoke was billowing out behind the
14 cockpit and we had a fire in the equipment bay -- electrical
15 fire. And we couldn't have power -- we had to get power one
16 nd ever, thing out of the way in case of electrical fire.
17 moke was blowing all over.

18 And here we were stuck with that thing. You know
19 it took us about twelve, fourteen hours -- swept it out inch
20 by inch to get that dam thing unloaded because we couldn't
21 ave any of the access to normal electrical controls.

22 Everything had to be done pneumatic. We had to get
23 n on the actual valves and points in the back end. We had to
24 ull these panels, which were heavy.

25 Fully loaded, and a lot of then you couldn't get

1 to and pull out without a problea. Talk about a fast bit of
2 engineering, in terms of what you can do and can't do in
3 emergencies.

4 You know, to keep out of trouble. It was really
5 an experience. Believe me, we never landed full of propellani
6 Never. In the whole program the rest of it. That happened
7 early in the program. But we learned our lesson well.

8 We never brought it in. We had to jettison.
9 Mandatory.

10 MR. ERTEL: I always said that getting the fuel
11 (inaudible) was something in itself.

12 MR. OTTINGER: Here's a display we set up out there
13 in the hangar. It was some shots. I've forgotten what this
14 was for. We put on a bunch of shows.

15 We'll talk about that a little bit later. I'll
16 never forget our first TV press conference -- TV show. About
17 Flight Number 6, i think. Pretty early in the program. We
18 had 150 guys out there. Cameramen -- all the networks out.
19 That's another story.

20 There's a guy -- an artist who used to edit the
21 Bonanza script that was 70 years old -- come in to work for us
22 He left -- retired from the TV industry and came out to work
23 as an air brush artist. And he did this picture, of course.
24 And we superimposed the pictures of the RB and put the various
25 trajectory information on it. Made a real nice display.

1 There's the 15 Mother ship fly-by over at the chase.
2 After the landing. North American did right well with that.
3 They put a -- they got about a 20 foot blowup ~~for~~^{of} that picture
4 and put it on the wall in the hangar, for the guys.

5 There's Bob White. He's CO on the base out there
6 now.

7 There's a Gemini shot. There's a program that's
8 interesting.

9 There's a movie being shown during that display of
10 a (inaudible) flying the canyons up in the high Sierras.
11 With a nose camera and a guy's doing that thing, and it was
12 something else.

13 There's the energy management display of one of
14 the X-15 panels.

15 Indirect gearing systems, lifting body.

16 Here's a -- you can't see the details very well, but
17 that's a contour three-dimensional thing -- model set up in
18 the trajectory of X-15, and there's about 400 miles of range
19 on that table. And the 400,000 foot trajectory was put on
20 there.

21 There's those external tanks I told you about. That
22 that Number 2 ship you saw in the movie today, that was rolled
23 over. There it is after it's lengthened *out* and re-built.

24 MR. ERTEL: It's really amazing.

25 MR. OTTINGER: This is the M-2 lifting body.

7576 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1 **Here's** a Gemini shot.

2 MR. ERTEL: Keep going.

3 MR. OTTINGER: Those are some I bought out of the
4 NASA cafeteria down there.

5 And there's the Pontiac again. As I said, they'd
6 Lowed that lifting body out and paraglidered ~~it~~ it at 150 miles
7 an hour on the lake bed with that thing.

8 You can see they got that rearward facing front
9 seat, and they got a winch in the trunk and special engine
10 rollover bars. And bringing that thing down to L. A. to
11 get worked on was something else. The Highway Patrol wouldn't
12 believe that was a Government car.

13 Well, that's it. I thought I --

14 MR. ERTEL: Well, that's great.

15 MR. OTTINGER: There's a few goodies in there.

16 MR. ERTEL: Yes, **sir**. I tell you --

17 I tell you -- your slides -- the one I'd really like
18 to get ahold of -- if you knew where to get ahold of it -- is
19 the kind of a thing up *there*.

20 MR. OTTINGER: That?

21 MR. ERTEL: Yes. I always like to put a little --

22 in the Mercury history, I illustrated it. And I put in ~~(this)~~ ^{Erno}

23 and ~~(Hammer)~~ ^{walking away} ~~and~~ As I say, we were a little behind ~~there~~

24 the Russians ~~were~~ ^{and} a Little ahead of ^{the} Americans, ⁱⁿ a few

25 things like that, you know.

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1 ^{Ertef} ~~MR. OTTINGER~~: It went over real well. Well, ^(Ottinger)
 2 you know, this thing is -- you could build this up very
 3 nicely, I think, because -- to show the fact that the Army --
 4 the most experienced helicopter pilot the Army had at the
 5 time was assigned to NASA and got assigned to the program
 6 and this kind of stuff fits in real well, sort of as a
 7 come on, when you're laying out his participation in it.

8 MR. ERTEL: We had trouble in the Gemini Program
 9 (Inaudible) you know, on those ejection seats, because,
 10 I think it was ^{Borman} ~~(Foreman)~~ and somebodg else, I think, were
 11 out watching the tests one week and the next week they went
 12 back and said, well, send out -- i don't know whether it
 13 was ^{Borman} ~~(Foreman)~~ or Stafford or somebody -- send out so many
 14 number of 27 on this end (Inaudible)

15 It was rigged for the confidence factor. All
 16 these other dummies and this guy has been ~~creamed~~ in.
 17 Oh, boy.

18 (Laughter.)

19 ^{Ottinger} : ... crack the whip and he cut our
 20 preflights down from several hours to where we could shave it
 21 in half, just by whipping the boys into shape and moving them
 22 along, that it sure worked out real, real well in phasing it
 23 out.

24 He had dropped a lot more stuff through the crack,
 25 you know, then Monterey would, so we worked them together

1 in their respective spots and it worked out real well.

2 They didn't like each other but 'dilly was a prac-
3 tical Joker, along with a lot of the rest of the boys. You
4 get out on a remote base operation and you get a lot of
5 horseplay and, fortunately, none of it any really got into
6 any trouble and it was a good tensin reliever.

7 But Willy I hired in at Bell and he was our foreman
8 down at Ellington, ^{Ertelet} ~~and~~ Is he still there?

9 ^{Ottinger} MR. ~~ERTEL~~: No, he was the last Bell man to leave,
10 besides the engineering people that stayed on and so he left
11 about a year and a half ago.

12 But he did all right. He's back in Rosemond now
13 working in Lockheed on the (10-11) down at (Palmdale).

14 ~~MR. OTTINGER~~: In Bell I can attribute whatever
15 horseplay we had at Ellington probably to --

16 MR. ERTEL: ^{You can} ~~I can not~~ say ~~any~~ anything, because I
17 ^{won't} ~~don't want to~~ use ^{it} ~~I don't want to~~ get anybody into any
18 trouble.

19 MR. OTTINGER: But, there were enough practical
20 jokes and so an throughout the program, you know, both of
21 then: here and down there, to keep it alive.

22 You never knew what might come up, you know, at
23 any time the: you're coming in to work and I can remember
24 occasions coming back from *the* main base up here at Edwards
25 and going back to down to the south base, my car's gone.

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

rd

7576 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

1 And I figured, well, you know, it's a wide open
2 ramp. We had a thrust stand pit below the ramp level down
3 there off to one side of the hangar and I went over there
4 and looked in and there, sure enough, is my little Volvo
5 down at the bottom of the pit.

6 They had put it down there with a forklift or
7 something or a boom or crane off the back of a truck, you
8 know, and taken the keys and everything and gone home.

9 Well, I had seen them and they were on their way
10 out, and I run on back and got the keys from them. I chased
11 them and caught up with them and got the keys and went on
12 back and got it out.

13 Another time in the same period, I came back and
14 the Volvo was loaded up onto the flatbea trailer with all
15 the rest of the equipment.

16 The fellow that I got in as an Office Engineer to
17 replace me at Edwards before I went to Bell and he also
18 pinchhitted while I had to go back on the (TV) with (Gremlin)
19 during the last six months or so and his name was Baron and
20 he was a young guy and really gungho, you know.

21 A loudmouth. And he had a few -- he used to wear
22 these knee length socks and this used to really get to the
23 technicians.

24 Here this young buck engineer, fresh out of school,
25 loudmouth, you know, coming in in garters and all that crap,

1 so they got him indoctrinated pretty fast.

2 We had one head in the corner of the hangar and
3 when they put the door in for it, they left a pretty good
4 sized gap under the door.

5 Well, he locked himself in there one morning early,
6 taking a crap, and the guys brought in a hell of a big
7 firecracker and they light that son of a bitch and put it
8 under the door.

9 And here he is in this little cramped spot with
10 this lit firecracker, you know, and this thing goes off
11 with a four inch short fuse and that poor guy, he comes
12 flying out of there, shit flying and everything and it was
13 the funniest thing, I'll tell you.

14 (Laughter.)

15 I was back in Buffalo and missed all the good stuff.

16 MR. ERTEL: Well, with the hours you worked there
17 had to be a lot of horseplay to keep the morale up.

18 MR. OTTINGER: Oh, yes. We were running -- a lot
19 of those guys we were running 70 - 80 hours a week and we
20 were just working then into the ground.

21 MR. ERTEL: (Business) a lot of time.

22 MR. OTTINGER: Most of the time, about 80 percent
23 of the time, our electronics, modifications, checkouts, data
24 analysis was ^{Pacing} ~~spacing~~ items.

25 We generally kept up about 80 percent of the time

jrd

1 with all the rest of the systems with the pace they set, so
 2 the electronics engineers and technicians, the key guys, they
 3 were the guys that we had the most pressure on as far as
 4 overtime, because we could substitute other people in some
 5 of the other areas to fill in, but because we had only had
 6 a very small handful of guys that could really do that
 7 electronics control business, the brunt of the scheduling
 8 was on their backs.

9 The same thing held true in Ellington. On the
 10 (TV) and the ground test phases we were going to go down
 11 there and, hopefully, get maybe 90 days of ground testing
 12 off and then be able to start flying.

13 It turned out it was just about a year and there
 14 were setbacks and I would say maybe 80 percent of that delay
 15 was due to electronics debugging and problems that had to be
 16 solved, technically.

17 There was a certain portion of it was due to
 18 facilities, equipment, not being there at the right time,
 19 improper scheduling support, a few incidents in which accidents
 20 would occur that would damage equipment and you've got to
 21 reorder, you know, and things of this nature, short of parts.

22 ...incident on the south base out here and then
 23 I'll sort of start from scratch as far as --

24 MR. ERTEL: When you come on the program and --

25 MR. OTTINGER: Yes. Go through with some problems

jrd

1 that we solved, pick up the important events, but there's
2 one thing on the south base that occurred,

3 We had -- there had been a period, I think, after
4 Walker got off of the RV, while he was still getting trained
5 for the ^{B-}~~P~~-70, and we had ^{Don Mallich}~~Maick~~ and ^{John Cloves}~~Walker~~ and (Hoover) and
6 a couple of Air Force pilots, as I recall, standing by one
7 morning watching our servicing.

8 We had been delayed. He had been scheduled to fly
9 fairly early and we lost our fire trucks to the ^{B-}~~P~~-70 ~~in~~ on
10 emergency landing and we had to hold peroxide servicing until
11 we got it, standby, so we had to kill off a couple of hours
12 and we had a young, colored electronics engineer that worked
13 for us and was just out of school and really beginning to
14 learn the practical side of things.

15 He didn't know how to drive, even. So one of the
16 electronics technicians decided to teach him that morning.
17 He had a Government station wagon that we used for transpor-
18 tation and so we had him out on that big ramp, a big
19 expanse, the technician did, and got him pretty well checked
20 out that morning with driving.

21 I took him for a run or two that morning, as well
22 and so this station wagon was parked in front of the LLRV
23 and the fire truck pulled in -- we had just gotten the fire
24 truck back -- pulled in about 20 feet behind the station
25 wagon.

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5500

1 This group of pilots were standing to the rear
2 of the station wagon, just behind me, and the technician that
3 had been teaching Al, the colored boy, how to drive, needed
4 something over at the hangar and it was far enough that he
5 was in a hurry and he wanted to use the car so he said,
6 "Come on, Al. Drive me over to the hangar to pick up the
7 part."

8 So they both hop in and the pilots just sort of
9 subconsciously stepped to one side when they got ⁱⁿ ~~at~~, although
10 it was his intention to pull on out ahead.

11 He had a clear field ahead. But Al, being just
12 freshly checked out and not familiar with it, flipped it
13 into reverse.

14 He's nervous, and he's a very timid fellow,
15 anyway, and he floorboarded it. Well, he was doing probably
16 about 20 miles an hour when he hit the fire truck, going
17 in reverse, broadside.

18 And here these pilots are standing there, you know,
19 and half of them have got their feet almost under the tread
20 of the tires as they're whizzing by; just about wiped five
21 top pilots in one whack.

22 Well, the back end of the wagon had taken out
23 the whole tank full of water in the fire truck and it's
24 spilling out all over the place.

25 We had started loading propellants and at first

Jrd

1 the people thought it was gasoline, you know, and it took them
2 a minute or two to realize it wasn't.

3 So fire trucks were at a premium, anyway; but with
4 this one knocked out of commission we had to get another one,
5 and AP's show up,, and, well, here's a guy, here's a cat with
6 no Government driver's license, no state driver's license,
7 no learner's permit, fresh out of school with no means about
8 him at all, and the AP's couldn't believe it.

9 They had their radio going about four hours be-
10 tween them and headquarters trying to get -- finally wound
11 up with a Major down there, the OD on the base, you know.

12 So they finally settled the incident so in the
13 aftermath, the ^{Air Force}~~airport~~ is going to prosecute him, fine him
14 \$500, make him serve some time, all this jazz, damaging
15 Government property and all, and all this, so finally,
16 ^{Paul Bickle}
~~Bickle~~ writes a Letter to the CO of the base to get him
17 to withdraw all of the charges against this young NASA
18 engineer which they do and it all gets tucked away but
19 (Bickle) calls me in and Dollman in and wants to hear the
20 story so he looks at me and says, "Wayne, you've done a
21 pretty good job so far but this little thing, I'm winding
22 you back to zero. You've got to start from scratch."

23 (Laughter.)

24 MR. ERTEL: How white did you turn?

25 ^{D. Stinger} : He was a scared boy, I'm telling you.

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600

Jrd

7675 NEW HAMPSHIRE AVENUE, SUITE 210 * LARGLEY PARK, MARYLAND 20783 * (301) 439 - 5600

1 MR. OTTINGER: Our key electronics engineer on
 2 mostly LLRV and TV, the guy that worked the most on it,
 3 spent the most time, had the most heartaches on it, was a
 4 fellow by the name of Bill Bascom, *spelled a few ways in other references* and he was a colored boy,
 5 as well, and a champion chess player out of New York.

6 He worked full time on the RV and TV throughout
 7 the entire life of the program. He headed all the electronics
 8 work on the TV but he turned a little bit white now and
 9 then at Ellington with peroxide on him and also he was
 10 pretty scared about being around that thing when it was
 11 serviced up with propellant, you know, and not firing it.

12 When we made our first TV CG stand runs (pitch and
 13 roll) -- I had flown the thing on that stand out here myself
 14 and had a feel for it from the RV program.

15 We didn't have anybody that had done this in Bell
 16 when it came time to do it at Ellington and *Joe and Bud had been* ~~(inaudible)~~
 17 both ~~and~~ checked out in the RV and flown it. *(Alger and Ream)*

18 But we were putting the TV up on the stand and
 19 running three shifts, around the clock, seven days, and we
 20 had to get our own people checked out to run these tests on
 21 the CG fixture down at Ellington, on the TV.

22 So I climbed in and got it started and then checked
 23 our people out as we went along and Bascom and his troops
 24 needed to be checked out as far as the -- it was a fun thing
 25 to get these guys confidence and get accustomed to being

rd

7876 NEW HAMPSHIRE AVENUE, SUITE 210 @ LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

1 around it and, with the proper precautions and everything,
2 there's no problem with it.

3 But it's a new experience for a lot of them but
4 it's sort of funny sideplay when you get a colored guy around
5 let's say, peroxide, and it's going to turn your skin white,
6 and you sort of get the big eyeball treatment, anyway, in
7 some of these things, when you're flying around and you've
8 got a lot of noise.

9 We had NASA build a big shed to go over the vehicle
10 while it was mounted up there because it took a fair amount
11 of time to get this thing mounted up with a crane, you know,
12 and tied down and all equipped out with (Inaudible) on it
13 and everything and sometimes it would be up there for a week
14 or two at a time.

15 Well, you've got to protect it when it rains and
16 so we had this big rollover shed built, quite high, and we
17 built it with canvas sides and so on so we could hopefully
18 even go ahead and test while -- maybe.

19 With the light ^{rain} ~~type~~, you know. The weather down
20 there in Houston, you know, if you get several days of rain,
21 if we had it would just be shot down, if that's what we were
22 involved with.

23 So we got -- we put this shed over it and some of
24 the very first testing we did was in rainy weather and we did
25 it with the shed over it.

jrd

1 But while we didn't realize at the time we were
2 planning to do ~~that~~ that the steam from the rocket would con-
3 dense off the bottom of the ceiling, of the shed, and drip
4 small concentrations but, nevertheless, corrosive stuff,
5 down on the vehicle.

6 And particularly in starting up the rocket system
7 you get a lot of wet peroxide depending on the condition of
8 the motors and it can get to be a hazard.

9 We ran into that very early in using that shed in
10 hot firing. We had an engineer by the name of Tom Stafford,
11 a rocket engineer.

12 One night he was sitting up there doing the quiet
13 bit in the cockpit, you know, operating it on the fixture,
14 and we had a -- it wasn't a fire as much as it was concen-
15 tration of peroxide getting on something and it wasn't an
16 open flame fire but peroxide was dissolving and burning
17 whatever it was.

18 It had been a small, restricted area of the vehicle
19 but it was handled, you know, right away and no real damage
20 and it was that operation that we decided that well, we just
21 can't operate with a shed over it.

22 We've got to wait for good enough weather to be
23 able to pull it back but it's still good for check out and
24 clean up and things of this nature.

25 So it still served a very good purpose, as I said.

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

Jrd

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

1 But the next morning there were furors flying around and they
 2 got all the way up to Gilbert's office was that the night
 3 before Tom Stafford, meaning the astronaut now, according
 4 to the rumor circles going, was flying the LLTV, preflight
 5 now, mind you, it wasn't on the fixture, it was free flight,
 6 through the shed and started -- I don't know what the rest
 7 of the story was but, the way it started It out, you know,
 8 it got pretty wild and fortunately it got stopped by about
 9 9:30 that morning.

10 (Laughter.)

11 . Well, back to the -- maybe a chronological thing
 12 from the start of the program at Buffalo on the RV and just
 13 quickly take it on through.

14 I guess the first two or three months back there
 15 of our design phase on the RV Program was pretty well in-
 16 volved in getting that cockpit moved from up on top of the
 17 engine down in front and working out the long lead items
 18 like the jet engine and getting GE up at Lynn, Massachusetts
 19 to get that engine program going because we were taking
 20 basically an engine that had been qualified for commercial
 21 use, now, a fan jet -- it was a fan jet version of the J-85
 22 which is used in the ^PA-38, but it's got an (Inaudible) put
 23 on it in addition to the basic ^{gas}~~(S)~~ generator.

24 This thing had already gone through it's full
 25 qualification testing, acceptance testing -- or not acceptance

1 but I mean qual testing for that particular ^{engine} ~~Inaudible~~
2 for horizontal mounting for commercial operations. So *our*
3 job, basically, in the RV program, was to get that engine
4 qualified for vertical operation, which *meant* changing stuff
5 in the ^{sump} and *in* the oil system, basically, is ail it
6 was.

7 So we had to run and requalify the engine with
8 these mods and changes and write some new specs for it and
9 do a little bit of testing for reingestion and things of
10 this nature that we were worried about.

11 . As it turned out we pretty well waited on the
12 reingestion problem to -- no, ^{we} ~~it~~ didn't either. We got it,
13 mounted in a stand, well, it was about 10 feet off the
14 ground, I'd say, to do our testing.

15 We had pretty well accumulated, as far as peroxide
16 rocket systems was concerned, a lot of experience and effort,
17 and it was probably the thing that both myself and our
18 efforts team, collectively, were the most confident in was
19 the whole rocket system.

20 We probably influenced Bell more strongly, let's
21 say, in the rocket system area, in design and dictating to
22 them what we had to have, than in any of the other systems.

23 And *it* was only because of the experiences
24 through all of the excellent aircraft and ^{X-15} ~~(excellent beams)~~
25 and so on and the fact that we had been set up out there

1 already .

2 So, in electronics-wise, this was really the new
3 thing and I think both Bell and FRC were plowing new ground
4 as far as systems approaches on putting this electronic *Control*
5 system together **and** staying within the weight constraints.

6 We wound up overweight in, I think, pretty much
7 everything except the structure. The structure in this
8 thing, I think, came in meeting its original weight allo-
9 cation pretty well.

10 Why don't you turn it off and we'll --

11 MR. ERTEL: Okay.

12 MR. OTTINGER: As L said last night, FRC furnished
13 the telemetering and data system an? the cockpit displays,
14 90 percent of them, the ejection seat, the engines, let's
15 see. .

16 I'm trying to recall. No, the engines were under
17 the Bell contract but so there's a fair amount of interplay
18 between work going on out here at FRC with our engineers
19 feeding back through me then into Bell, tying in all these
20 Government furnished items that had to be part of the flight
21 vehicle and ~~part~~ ^{support} equipment.

22 And simulator work, fixed ~~face~~ ^{base} simulator work going
23 on at FRC here, which would interface with the control
24 system people back there, wind tunnel testing, which was done
25 at Langley, under FRC's cognizance, would then be fed back

1 into Buffalo in terms of control systems work involved.

2 So we had the normal gamut of technical meetings
3 and design ^{reviews} ~~sp~~ used with ^CMSA participation in probably 60 to
4 80 percent of these and, of course, then eventually, as time
5 went on, it was pretty much 100 percent, ^{Dean Grimm}~~(Grim)~~ and myself
6 trying to keep up with everything that was going on out at
7 Buffalo and all the major subcontracts.

8 The TV engines, I was getting confused -- the
9 TV engines were Government-Furnished. ^CMSA bought them
10 out directly from Lynn; purchased them as Government
11 equipment.

12 MR. ERTEL: You say there were a few bugs?

13 MR. OTTINGER: Yes, I'm not really sure that they
14 did. This is always a questionable item because if you can
15 saddle the prime contractor with the full responsibility,
16 maybe the extra overhead he will put on that subcontract is
17 well worth it to keep any (glitches) in coordination out of
18 the thing because with the amount of Government-Furnished
19 equipment ^{we had} ~~it has~~, particularly in the TV, hand controllers,
20 displays, engines, radar, a fair amount of ground support
21 equipment, what else?-- I think those are the major things.

22 Oh, we had leftover rockets from the Army which were
23 Government-Furnished to the TV, okay? We had a heck of a --
24 and particularly in the new stuff that the Government furnished
25 you've always got that problem of interface and the fact that

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

1 the prime can come on back and charge for changes which are
2 not properly communicated and phased in, let's say, and I
3 think you wind up, in the end, probably paying about as much
4 as *if*'you would pay that overhead in *the* beginning and let it
5 be channeled through one outfit.

6 I'm sure ^{Gumm} (Dean) would probably argue the point
7 in looking at maybe his administrative problems with a lot
8 of his subs like (Mini Honey) in furnishing the hand con-
9 trollers, would -- it couldn't have gone any other way be-
10 cause here they are, making the LEM hand controllers, and
11 now they're going to slip off and (peel) off the same pro-
12 duction line to use for the TV.

13 In my mind, to a certain extent, it wouldn't have
14 made sense for Bell to handle that under the prime. They've
15 already got their contract established with (Mini ^{Honey} ~~Hunting~~)
16 and they just tack it on.

17 But in the case of engines and things of this
18 nature I think you have got to look at everyone different.
19 But, anyway, we had, I think, about a year's program on the
20 RV scheduled at Bell and two things happened.

21 One is that we slipped, I think, about a couple of
22 months or so and it turned out to be a 14 month program but
23 that's still not the whole story because of the technical
24 development problems we ran into, well, we just -- and
25 probably bad estimates as well, in the beginning -- then

1 we weren't able, and I think *more* from a cost standpoint
2 now than it was actual calendar schedule, we didn't do the
3 complete job on the RV in Buffalo.

4 We got it out without any testing and, in fact,
5 finished the assembly on the Number One Unit and Number
6 Two was delivered in baskets, completely, on this thing.

7 That period in April of '64, when we got the
8 Number One RV -- I think Number Two followed a week or two
9 Later -- and in the basket and so on, then we had that period
10 from April to October to do our final assembling, which
11 included a lot of these design changes, structural mods,
12 electronic changes; we had to get it wired up, replumbed;
13 we had to rearrange the mounting in installation (of nuts)
14 or the hardware are the biggest things in the electronics
15 rack in the back.

16 The method of weight and balance for even a 10
17 pound difference in pilot weight up in that cockpit would
18 change the balance of the ship, or CG of the ship enough *that*
19 we would have to compensate *for it*,

20 if you were to -- the way the control system worked,
21 you had a given amount of authority, control authority, and
22 if you -- that was available to be used against aerodynamic
23 *drag forces*, which would include wind effect -- and depending
24 on the relative wind, you know, *it* would determine your --
25 if you wanted a certain ground speed and then, depending on

1 your relative wind, you would -- sometimes these things would,
2 the wind would work against you and sometimes it would work
3 with you.

4 But, in terms of flying a given trajectory out to
5 the maximum envelope it was one of these things where if
6 you had a center of gravity that was offset from the geo-
7 metric center where the control forces were operating, then
8 you're just detracting that much from your velocity capa-
9 bility, velocity envelope capability.

10 So the idea wasn't as much, well, if you take off,
11 you know, and fly in this thing and you put in that heavier
12 pilot you're going to crash or anything but at the same time
13 you may be limited to an envelope that blends with what you
14 had applied to that (Inaudible.)

15 We really tried to keep that center of gravity right
16 down to the -- as close as we could and the goal was to be
17 able to measure it and know where it was within a tenth of
18 an inch.

19 And with that flexible a structure we went through
20 all of this special fixture work to get that center of
21 gravity and fairly complex bookkeeping and calculations to
22 get it, considering even the selection of the ^{gimbal}~~(gimbal)~~ ring
23 because of the engine thrust.

24 During flight, changing the weight in that ^{gimbal}~~(gimbal)~~
25 system by so much, and now, what effect does that have on

1 the center of gravity?

2 And just a lot of refinements that had to be looked
3 at to pin it down and so that meant everytime we had a
4 design change and moved *this* or that we had to keep in mind,
5 where are we headed here, as far as the weight balance on
6 this thing.

7 Lots of equipment was relocated with the weight
8 balance criteria being the governing factor and we didn't
9 have, in the early phases, enough engine thrust to consider
10 using, much, if any, ballast to balance it because the
11 ballast would be just dead weight you were carrying around.

12 MR. ERTEL: Now long did it take you to switch *tram*
13 one pilot to another?

14 MR. OTTINGER: Well, --

15 MR. ERTEL: How much rearrangement had to be done
16 on *it*?

17 MR. OTTINGER: I would *sag* it was several hours to
18 readjust the platform because of the -- well, maybe *not* that
19 but depending on the harness ~~routing~~ *routing* and so on, and how
20 you are able to do that.

21 Moving that platform -- we did it on occasion but
22 it was fairly infrequent and our first two pilots, Walker and
23 Malek, were within -- I don't know -- five, six, seven
24 pounds of each other, as I recall.

25 So, for that kind of thing we did go ahead and

1 compensate with a little weight on the legs, as it turned
2 out in this one.

3 Again, our missions weren't as -- in the early
4 flight phases we weren't going out with a full envelope,
5 and all it meant, maybe, if you had to use ballasts in some
6 of these early cases, since you had a little less jet fuel
7 you had a little less flight duration, and, again, you can
8 get by, maybe, with less in an early R and D stage that what
9 maybe eventually you want to have in the TV when the
10 astronauts are using it and have a 30 pound pilot differen-
11 tial. That's a different story.

12 By the time we got to that we had more engine
13 thrust and we went to ballast. We designed leg ballasts,
14 pieces that could be quickly put on in between pilots to
15 account for --

16 MR. ERTEL: Well, I was thinking particularly,
17 you get somebody like Pete Conrad. In there, who weighs nothing
18 and --

19 MR. OTTINGER: I think the biggest trouble we were
20 planning on was the fellow that was killed in the A-38
21 I've forgotten his name but he was --

22 MR. ERTEL: ^CW. C. Williams? Yes, ^{he} was a big
23 one.

24 MR. OTTINGER: But, anyway, and I hope we at
25 Edwards will see the day from the pictures of that -- you

1 saw *the* PG stand with it but we built another stand.

2 In the period of April to October part of the
3 ramp testing and closed loop testing of the rocket system
4 and jet engine ^agimbaling system, hydraulic system, both
5 being, you might say, hotfiring the Jet engine and the rocket
6 sytem simultaneously with the feedback sensors and the loop,
7 we wanted to go as far as we could towards actual flight
8 in a tied down situation and we voted this in lieu of
9 tether tests, hanging from a pendulum, you know, because of
10 the dangers involved with *that* and previous experiences
11 with Bell and *other* people in tether testing, it didn't seem
12 to be the best way to go.

13 So what we did was to design a test stand, a
14 vertical test stand support to grab the vehicle at the
15 (gimbal) bearings where the jet engine was gimbaled in the
16 center and this had to be done with extremely -- say, it
17 was *something* like three eighths thick plate, which was
18 rectangular shaped and went up alongside of *the* Jet. engine
19 and had bearings in the plate and it fitted over the gimbel
20 ^{union}~~(inaudible)~~ and supported the weight of the vehicle on *this*.

21 It came down and fanned nut *with* large Cubes going
22 into the ramp, making a tripod affair and with that particular
23 test stand, which we welded up and fabricated there, we *were*
24 able to run the gimbal system of the engine in two axis
25 of freedom; pitch and roll on the jet engine gimble and one

1 axis of freedom, pitch *or* roll, at a time on the vehicle
2 attitude **control** system.

3 So we ran that, let's say we *set* In on the fifth
4 ^agimble and we were able to run the pitched rocket, the
5 attitude rocket system hot in the pitch axis and let the
6 jet engine gimble^a system -- with the jet engine being run
7 hot, now in running the hydraulic system on *its* own internal
8 hydraulic pump -- then we were able to run all that stuff
9 together *and* take our data and then we would pick it up
10 with a crane and turn the vehicle 90 *degrees*, set it on
11 the roll trunion and do the roll rocket attitude testing,
12 again, with the gimble^a going in pitch and roll, hot and
13 get our data. and that. together with the pitch-roll combined
14 axis testing on *the* CG picture with no jet engine running,
15 gave us *a* good handle, technically, on all these systems
16 before we flew.

17 So we had a -- and then our flight test, our
18 actual flight testing was done in a very gradual step by
19 step process so that we only started with the bare assistance
20 we had to have, the least amount of complexity, I'll say,
21 and it actually turns out, the ship is easier to fly when
22 you have all this stabilization stuff working on the gimble^a
23 system and the engine is hanging straight towards the ground.

24 And the gyros are going to drive it and keep it
25 going straight towards the ground and then it's sort of like

jrd

1 a guy can sit up there and he can fly around on any attitude
 2 he wants and he's not going to go scooting off anywhere unless
 3 the wind's going *to blow* him because the engine thrust
 4 vector is not following his attitude system.

5 But in terms of hardware complexity, that was
 6 more complex than -- and more risk involved, in the early
 7 phases.

8 So what we did was we had im lock the gim ^{el}
 9 hydraulically and we had a redundant system in the vehicle
 10 to do this so that the engine stayed aligned with the
 11 vehicle at all times and if he tipped the vehicle, the engine
 12 would tip with *it* and so that thrust vector would *be*
 13 shooting him off so it was a little touchier to fly as far
 14 as the attitude system in checking it out with that gimble ^a
 15 locked up.

16 But we still were afraid of going too fast with
 17 this fancy stabilization system on the engine gimble ^a and
 18 they'd rather build up gradually than have hardware com-
 19 plexity.

20 And little things like those casters that got --
 21 that we had on for the first few flights. A little bit of
 22 engine misalignment or wind, surface wind, would get you
 23 rolling and some of those flights looked pretty funny;
 24 we'll probably see them on the movies today.

25 MR. ERTEL: I was wondering about whether the

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • WOODLEY PARK MARYLAND 20783 • (301) 7 5 40

1 lateral translation was on as they broke ground because
2 of the wind and so forth. if it surprised you any?

3 MR. OTTINGER: Well, I don't think we just were
4 really conscious or realized that the casters would make
5 that much difference.

6 MR. ERTEL: Well, I mean, *even* after the casters
7 came off?

8 MR. OTTINGER: Yes.

9 MR. ERTEL: It seems like, here at Ellington,
10 it's almost always agreed that everytime this thing gets
11 two feet off the ground it goes a good 15 or 20 feet sideways
12 before they could get that thing powered up enough to
13 gain altitude again.

14 MR. OTTINGER: Well, it may be strictly a function
15 of pilot experience and proficiency, too, because, as I
16 recall, that would be a rare happening out here in our
17 testing and I -- primarily because with (Inaudible) from
18 research pilots that are testing new hardware they're
19 going to be more sensitive to being cautious, let's say,
20 because they're not sure what to expect, maybe, if you're
21 expanding -- if you're going with a new set of control
22 settings, let's say -- he's going to sit there in a helicopter
23 and he's going to practice and he's going to plan -- not
24 everytime but a lot of the time these guys would be out there
25 flying around and getting the feel of things before they get

1 in and they get in there and then maybe if there was a
2 surface wind they would be anticipating it and correct for
3 it as they lifted off.

4 With a little bit of practice at this kind of thing
5 you can cat that kind of stuff out. Now, if you are looking
6 at it in an operational trainer and you've got a lot of other
7 things on your mind and this thing is supposed to be already
8 checked out then it's a lot different.

9 MR. ERTEL: Well, I remember the jar I got when
10 I first -- when I saw the TV flights and I watched it get
11 up to speed and it would skid sideways 20 feet and it was
12 all happening now and, of course, a lot of people remarked
13 about the same thing and I wondered from that time on
14 whether it had been expected from the start out here; of
15 course, you've got different wind conditions out here.

16 MR. OTTINGER: That's true. And had we had as
17 much wind, maybe, as you have down there a lot of the time,
18 you were trying to fly more often than we were up here and
19 it's one of these things that if you were using the same
20 pilot down there all the time you would eventually work out
21 techniques to where you would minimize that but you're
22 bringing in people, training them all the time, too, you're
23 probably going to run into more things like that.

24 MR. ERTEL: Yes, I think, it was Malek that told
25 me, you 'd probably remember when I mentioned it, about the --

7576 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 459 - 5600

1 We were talking about the wheels, the casters, and he said .
 2 that he didn't remember which flight it was -- it was one
 3 of the earlier flights -- but you could feel the wind and
 4 there was a pretty good breeze getting on ~~at~~ ^{down} the ~~(Inaudible)~~ ^{runway}
 5 manhole gap (Inaudible) the engine and everything else.

6 That was the end of the **casters**.

7 MR. OTTINGER: Well, those manhole covers, that was
 8 really something. That thing weighed about 100 pounds and
 9 it didn't, as I recall, hit the vehicle at all.

10 It was real fortunate that it was -- we went around
 11 and we welded them all down after that. But getting the gap
 12 resolved ~~and~~ ^{helped} two things.

13 One was, as I recall, our rack was adjustable on
 14 the back, the electronic control rack was adjustable, both
 15 vertically and laterally and longitudinally, so that we could
 16 a lot of our CG adjusting on that.

17 But it was quite a bit of trouble to change it,
 18 like you say. It was easier to change it sideways or longi-
 19 tudinally than it was vertically because of the place you
 20 had to make the changes at with the harness involved and
 21 everything.

22 So the changes weren't made that often but we were
 23 in extreme ends of the limits in some of these areas and as
 24 I recall the casters were -- and we originally went on with
 25 real heavy casters that Bell furnished and we never did

jrd 2

7576 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

1 operate with them.

2 We put on much smaller ones and even with the
3 smaller ones we were -- because they were so far down on the
4 vehicle at the bottom, away from the CG, we picked up enough
5 small CG conditions that we tended to have a rather stable
6 vehicle.

7 It was, you know, like the CG was five-six inches,
8 I think, below where it should have been. Maybe not that
9 much but -- that seems like maybe an awful lot for it to
10 gap but it was quite low.

11 We wanted to get it back up where it belonged to
12 be neutrally stable to do a good simulation job, of course,
13 and even to achieve certain maneuvers with certain range it
14 is going to eat up a lot of your control power if you've got
15 that ^{low} ~~whole~~ CG ^{set down there below the} ~~(checked out)~~ engine.

16 MR. ERTEL: Well, somebody said the first time that
17 you put on a show for a bunch of people in Washington and so
18 forth somewhere something wasn't quite right after you had
19 powered up..

20 It was sitting on the runway ready to take off and
21 people were saying look, we're going to have to get some of
22 these people out of here or we are going to run into people
23 before we ever get off the ground.

24 ^{A bunch of generals and high NASA officials --}
Do you remember that? ~~(Inaudible)~~ The first real
25 test that you had shown anybody of that stature.

jrd

1 MR. OTTINGER: I guess I had forgotten about the
 2 nip and tuck operations as far as the -- after we got the
 3 engine started, burning off the jet fuel and we had a rather
 4 complex check list to go through and if you had a glitch here
 5 and there you had to work out the damn thing before you
 6 could take off and sometimes it got pretty close to whether
 7 you board or not.

8 In general, though, as far as any of our demo
 9 flights, we're going to hit that as a subject all by itself.
 10 I think it was about Flight Number Six that we scheduled for
 11 the first press flight and we had major networks there and
 12 I think there were 150 people from the press corps that came
 13 in and we had started about one or two o'clock in the morning,
 14 started the preflight, and were going to try and fly about
 15 8:00 or 8:30 for it.

16 The wind was blowing like hell, and I mean like
 17 25 knots and we're saddled with about a five knot limit,
 18 five miles an hour.

19 Later on we expanded it to ten miles an hour after
 20 we got strong division about it. The guy^S would be coming
 21 about three or four o'clock in the morning in time to get it
 22 out and move it out of the hangar, you know, put the peroxide
 23 in it and start the long cycle.

24 Of course you are biting off a lot of extra work to
 25 purge it out and clean it up, once you put that stuff in.

Jrd 4

7676 NEW HAMPSHIRE AVENUE, SUITE 1 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5800

1 So here we are, blowing like hell, three o'clock
2 in the morning, you know, and I told Glenn to move it out and
3 the crew just bitched like hell.

4 They knew damn well, you know, no chance of flying.
5 Just making them work but it's my job, put it out. Get it
6 ready.

7 Well, it was all ready to go. It was sitting out
8 there, serviced out and all checked out, and about 7:30-8:00
9 (Bellman) has 650 people up in the cafeteria, everybody
10 having coffee and doughnuts.

11 He got a mike up there and he just told them,
12 he said, "Well, we are sorry. We've got a 20-25 knot wind.
13 We're going to have to reschedule and we'll be back in touch
14 with you, you know. It may be the next day and it may be
15 two or three days."

16 So he just told everybody this and I called in on
17 the radio and they telephoned down and got him on the phone
18 and I said, "Don"- I guess they got him upset with the tower
19 there at NASA to talk to me on the radio and I said, "Don,
20 we got a break.

21 We're in the center and it's dead down here and
22 we're ready to start the engines." This is the first demo,
23 okay?

24 So he runs back down and here these guys are
25 wrapping up the coffee and stuff ready to take off. And he

1 runs and yells out, "Come on. Let's go. They got a break
2 down there." And it's blowing like hell up this -- you know,
3 five miles away it's still blowing.

4 It's hard to believe. Don asked on the other end,
5 he says, "What you been drinking?" I said, "Nothing, man,
6 now get down here. We're ready to go. We've got a pilot
7 here and everything."

8 So, I'll tell you, I made a believer out of that
9 whole damn crew with that one incident, I think, because I
10 never had any more problem with any of the crew arguing with
11 me about whether to service that thing.

12 It paid off to go ahead and be ready and if we
13 wouldn't have fired up that engine and went through our checks
14 and -- we gave them five minutes or so.

15 It was going to take ten or fifteen minutes to get
16 down there, get loaded up on buses and get there and we waited
17 for five or ten minutes to start the engines.

18 But I knew we didn't have very long before it would
19 pick up again so they came around the curve of the road that
20 comes into that mountain range on those buses and -- oh, we
21 got the helicopter down there and I think we had Malek go
22 up and tell us when they were within two or three miles from
23 there and we went in and fired the engine up and went through
24 our preflight check with the engines running, and as they
25 pulled into the parking spot we lifted off.

7575 NEW HAMPSHIRE AVENUE, SUITE 210 • LANOLEY PARK, MARYLAND 20783 • (301) 439-5600

1 And these poor bastards trying to get their cameras
2 nut here, the *weirdest* first one ~~this one~~ thing had ever flown
3 and the thing is lifting off and here they haven't got their
4 cameras on.

5 You should have seen the ankles and elbows fly with
6 the film and oh, hell, it was funny. But they got their
7 shots and they got the last half of the flight and everybody
8 was just tickled pink because they were going to sweat out
9 the old two or three *today* wait routine.

10 So they got their stuff; we all got on the networks
11 that night. Big deal. The next big show was a show for the
12 Time and Life magazine executive tour.

13 Every year they put on a big tour. There's an
14 assembly hangar for the Ten-Eleven. They can get, oh, I
15 don't know, probably five or six in there at a time.

16 That's the most modern automated assembly plant
17 in the industry. It's really quite something the way they --
18 there should be a Ten-Eleven sitting out here.

19 This is a flight deck thing they did.

20 MR. ERTEL: Isn't that one over there?

21 MR. OTTINGER: Yes. That's one right there. They
22 called *Bickle* in August or September and said they wanted
23 to come cut and watch the flight,

24 Bickle says, "Well, you are welcome to do it if we
25 are flying but we haven't flown yet. We haven't made the

Jrd 7

1 first one and we don't know when we will. And if it works
2 out, great and if it doesn't, sorry. However it falls out."

3 And they said, "Well, hell, you've flown. We've
4 got pictures of it flying in our magazine."

5 And they had a full page spread they had done on
6 simulators. They had put that out in September, I think,
7 and then they were asking us about this thing in October
8 or something.

9 Anyway, it was all within a couple of months time
10 that it happened. It turned out -- you know that picture
11 on my wall in the living room with Joe in the cockpit --
12 the way he had those shadows and the filter effect, it
13 looked like it was flying.

14 They thought that was a picture in flight, just at
15 touchdown. So they were a little pushed out of shape. They
16 thought Paul was pulling their leg when they said he hadn't
17 flown yet.

18 But, anyway, I think that was the next big show
19 and I have forgotten what flight number it was but that one
20 came off just beautiful.

21 We got a lot of satisfaction out of putting on that
22 show. We had another show where the AIAA had 600 or 700
23 guys out here for the National Annual Conference.

24 It was held in the Base Auditorium, the technical
25 sessions were and then the display areas were set up in the

rd 8

1 NASA hangars and we put on a flight demonstration.

2 For that one, for that many people, we decided we
3 couldn't do it down at south base with the problems of trans-
4 mitting and transporting that many people down there.

5 So it was worth shutting down FRC ramp and the whole
6 flight operation for a whole damn week to put on this damn
7 AIAA thing.

8 Well, to give you an idea, we come in there, all
9 the aircraft had to be moved off. They couldn't bring in --
10 we had to pull all the light standards down.

11 We had to put in a flash shield. We had to get
12 a bunch of ^EGFAs relocated. We went through a big effort.
13 We got the control van back up next to the buildings for
14 the flight.

15 We'd start him off out here down the ramp by the
16 fire station. Joe made that flight. He made about four or
17 five practice flights before the big show on that ramp to
18 get used to the trajectory coming in.

19 He did a beautiful job. The day of the show came
20 around and what did we have? We had a -- I told you that the
21 XV5A was down there on the south base ramp there flying?

22 Well, the week before that or two weeks before that,
23 there had been a problem with -- a guy had been putting on a
24 press flight and he crashed and was killed and the reason was
25 he had a critical transition switch that he couldn't see.

jrd 9

7575 NEW HAMPSHIRE AVENUE, SUITE 210 © A1 E ARK, MARYLAND 20783 © (301) 439 - 5500

1 It was behind him and he reached back and got the
2 wrong switch and didn't have time to get to the right one
3 in a critical transition.

4 It was all because of the damn switch location.
5 And we had enough moxy to -- without that incident in our
6 minds to sort of be cognizant of -- it's just plain old
7 common sense.

8 But we had a situation where we had a similar pro-
9 blem and I'm trying to remember the details of it now but
10 anyway it's enough to say that we had a bad switch location,
11 too.

12 Depending on what the problem was and the emergency
13 requirement was it needed some improvement. I was having a
14 tough time with Joe Walker convincing him we ought to change
15 it because you get used to something and it's a little bit
16 hard.

17 Joe came in -- he did this flight this day -- when
18 you go under the lunar sim mode in this trainer you're
19 activating it by coming up on the liftstick and in the TV
20 it's a T-handle to simulate the LEM control, but anyway what
21 you are doing is you are turning on these lift rockets and
22 these lift rockets become your lunar propulsion, so to speak.

23 The jet engine is your propulsion, okay? Now,
24 that triggers -- when you do this and you turn on these
25 rockets you have got an extra force there and the

jrd 10

1 accelerometer sensors sense this increase and in those days,
2 we had a weighing mechanism in the electronics which --
3 a circuit, rather -- which you got so much -- let's see,
4 how does it work? -- you got so much acceleration that you--
5 that's the same as knowing how much force you have got.

6 Okay. We had a pressure transducer on the rocket
7 and we knew what the force input was and we knew what the
8 resulting acceleration was and if you had calculated properly
9 you'll get the weight.

10 So we called this thing an intial weighing circuit
11 for this sim mode so that we would know how far to throttle
12 the jet engine back with the automatic throttle to simulate
13 five sixths of the weight, you see, of the lunar sim mode.

14 The weighing circuit was tricky, though, because
15 you had to come on just at the right speed with this throttle
16 or the weighing circuit would get out of phase and it would
17 weigh you wrong, okay?

18 And when it weighed you wrong it would put the
19 throttle to the wrong position and when it put the jet
20 throttle to the wrong position you had to make up for it
21 with the rocket throttle.

22 So Joe's got 700 guys down here watching him,
23 lined up against the building on the big day of the show.
24 He's probably a little nervous and it happens every once in
25 a while, anyway, and he comes on too damn fast with the

1 throttle.

2 So the jet engine ^{throttle} ~~problem~~ gets sucked back too far.
3 So he doesn't have enough jet thrust and he's sinking like
4 hell but he's bound and determined and he brings that son of
5 a bitch in hotter than hell, sinking like a bat out of hell
6 and he's got he's lift rockets full bore and he's barreling
7 in towards this crowd and the buildings -- he's going to
8 land out here, you know, one side and we're watching him
9 coming right out on his head.

10 He knows he's got to changeover and I'm telling
11 him to ^{win the TM van} ~~(inadvisable)~~ and at about 20 feet off the ground he
12 aborts the lunar sim mode and the whole effect of the maneuver
13 was that coming into, say, 20 feet and then an obvious
14 control change, and he bumps up a little bit and comes on in,
15 you know, and to the novice that thing was so beautiful.

16 Everyone was thoroughly impressed and he was so
17 damn close and for him to pay attention at that point, with
18 the time that he had, in going back and looking at the data,
19 he made four specific control maneuvers and switch changes
20 in less than two seconds. With his left hand now, mind you,
21 okay?

22 Now, that's pretty goddam fast and four or five,
23 I've forgotten exactly the number but it was in that area,
24 there was a couple of those which were mistakes.

25 In other words, he could have done the job with less

jrd 12

7675 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

1 but in the process in that emergency he added these extra
2 two steps in which became an extra burden on him and they
3 didn't add anything.

4 What he did, I think, he went and put a switch one
5 way, did something else, came back and undid what he had done
6 and then had to come back later and redo it.

7 So, anyway, this whole thing got changed around
8 right quick. We made our switch change and we got the thing
9 put where it should have been for a lot less screwing around
10 so that in case the thing ever came up again he could just
11 make one maneuver and do it and never worry about where that
12 thing was.

13 He could always find it, not look for it. So that
14 was quite an experience on that show.

15 MR. ERTEL: Did you fly for LBJ?

16 MR. OTTINGER: No, never did. That particular day
17 we had -- I don't remember if it was Phillips that was
18 scheduled to come in -- I think it may have been in a Jet Star
19 that afternoon after the AIAA show.

20 He couldn't make it. He started for a flight that
21 morning and Bickle asked me to make a turnaround flight for
22 Phillips if he showed up.

23 So when Joe landed we had our NASA guard sitting
24 out there and we told him to move out and keep people from
25 getting up around the ship because it was still hot.

Jrd 13

1 That ^{hot} high rocket business and peroxide and every-
2 thing, that stuff could get on people and the control fires
3 inadvertently and you've got a hell of a problem on your
4 hands. It's a hazard.

5 So this damn crowd moves in and of all the guys
6 that should know better, it was the newsmen that were the
7 biggest offenders, and those guys, they swarmed over and they
8 got past the guards and we had guys milling around all over
9 that thing for a while.

10 We finally got them chased out but they wanted, one
11 of the major networks, wanted to interview Joe in the cockpit.
12 So I said okay but I had an inverter running to keep the
13 power on so we could make a turnaround for Phillips and he
14 wanted it turned off.

15 I said, "No, I can't do it." He was getting all
16 unhappy and I said, "Well, the way that inverter system works,
17 I talked to my control assistant there and we could give him
18 10 second bursts (Inaudible) and I said, "If you want your
19 energy at 10 seconds at a time, you can have it. We'll give
20 you bursts."

21 Joe sat there, beaming all over. We gave him,
22 I don't know, it probably wasn't more than four or five bursts
23 of questions and answers about why couldn't we turn that thing
24 on and run it and let's turn it on.

25 All we wanted to do is keep the gyros up and it

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANSLEY PARK, MARYLAND 20783 • (301) 439-5600

jrd 14

1 took them -- we probably could have given him 30 seconds but
2 we weren't going to take a chance. So he said, "Okay,
3 10 seconds."

4 But we had one show for some local civic people
5 that came out, there was 100 or so of them from Lancaster,
6 Palmdale and the Valley and this was a group of businessmen.

7 Out of about six or seven, maybe eight press shows
8 and demos for big ^{wheels} wigs we missed only that one, and that
9 was for the local people and that was because of wind.

10 We didn't miss a single one because of -- well,
11 I shouldn't say that. Gilruth came out by himself and we
12 put on a show for him and he had to stay over. He didn't
13 have to stay over.

14 He was making a speech at a test pilots school
15 graduation ceremony on a Friday night and we were going to
16 fly Friday for him and we had a hardware problem and we found
17 it, fixed it overnight, worked around the clock and some of
18 the guys hadn't even gone home and flew for him early
19 Saturday morning before he took off and went back to Houston.

20 He was just as tickled as could be.

21 (END OF TAPE ONE, SIDE TWO.)

22 (START OF TAPE TWO, SIDE ONE.)

23 MR. OTTINGER: Well, let's see, we wound up -- I
24 think we pretty well went through the test stands, the --

25 MR. ERTEL: Special shows.

1 MR. OTTINGER: Shows. We wound up getting G.E. to
2 put about 20, 25 guys, both in their fab shops and also ^{done} during
3 installation work, in ^{wiring} (~~warning~~) up and ^{plumbing} ~~forming~~ up the Number
4 2 RV, getting it ready to go down to Houston.

5 If you remember right, we couldn't get the TV's in
6 time so they wanted to start training with the RV's.

7 MR. ERTEL: Yes.

8 MR. OTTINGER: And they wanted both RV's, so we --
9 and we decided to make some changes. On RV Number 2, like
10 getting rid of that emergency rocket system, because of the
11 recovery problems, you know the marginal decision-making
12 problem as far as a trainee pilot would have to face on using
13 that system.

14 So that eliminated quite a bit of weight, six 500-
15 pound rockets. You know, a lot of plumbing and eliminated the
16 parachute, the ^{we} ~~drag~~ parachute on the bag.

17 We wanted to streamline the electrical wiring quite
18 bit. There have been a lot of changes just made piecemeal o
19 the RV Number one -- we streamlined a lot of that.

20 We wanted to do the new cockpit work through the
21 LEM simulation visibility-wise on Number 2. So we sort of had
22 a -- that was really the first time we had to go to work and
23 bring our documentation up to date.

24 Out here at Edwards, because of the proto shop type
25 of operation, with maybe making a major configuration change

1 just based on the work orders, says ' build the suit'" type of
2 thing, you. know,

3 MR. ERTEL: Yes,

4 MR. OTTINGER: Make it work. And you've got a good
5 bunch of technicians and inspectors and know what they are
6 doing, you can get by with it,

7 But it's a little hard to make carbon copies when
8 you get ail done, so --

9 We had a hell of a problem in trying to go back and
10 update all of our documentation. We didn't have -- well, I
11 shouldn't say we didn't have enough manpower because, well,
12 we didn't, so we hired G.E. to do it, and we had a crew of --
13 maybe seven or eight ~ r craftsmen, with the lend man out at
14 I.E. flight test, but in trailers down here at the south
15 base living with us for six months to learn what we did to
16 RV 1 to make it like it was, so they could build two Like it.

17 And part of the ^{GFC}~~CAF~~ on the TV contract that I got
18 saddled with at Bell was a damned set of drawings which I
19 had done by the G.E. crew because -- yes, we had -- in other
20 words, here you've got a basic ^{R+D}~~TV~~ vehicle that forms the
21 maybe 50 percent of what an LLTV is going to be like.

22 And, well, you've got to start from somewhere. You'e
23 not going to start from scratch, so we had to take the set of
24 reproducible drawings that I had G.E. make down here at Edward
25 and then generate TV drawings which complemented these.

1 And, to give you an idea now, we had a -- the Model
 2 Number on the RV was 71-61 -- the Bell Model Number. And the
 3 Model Number on the TV was 72-60.
 4 So, we wound up with a whole lot of 72-60 drawings
 5 that had 71-61 detailed parts on them. And we wound up, in
 6 some cases, with RV 71-61 drawings with 72-60 parts on them
 7 because we had upgraded the RV. And we had one hell of a mess
 8 And our configurations control was, let's say, very
 9 skippy, very poorly done, in the early days. We attempted to
 10 recover with it through G.R. -- their efforts on a sub-
 11 contract basis.
 12 Once you lose something like that, it's hard as hell
 13 to go back and pick it up, and we were just constantly living
 14 with problems, and you wind up, nine chances out of ten,
 15 having to depend on people who have lived with it long enough
 16 to just know what the hell they're doing and solve the problem
 17 as they come up, because just to do it by pure paper work --
 18 impossible.
 19 Bert Adams retired from Bell in -- oh, just in the
 20 last six months, but I dare say -- I guess if there's one
 21 other guy that did stay on the program as much as I have, it's
 22 been Bert.
 23 Because Bert was a lead designer in Bell on the RV -
 24 started out with Ken (Lavens) when we first got -- he didn't
 25 get in on the early studies, I don't think, but he did get in

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 438 - 5600

1 on the initial preliminary design on the RV.

2 (This is the golf course on the old)--

3 Bert came out as the lead man from Bell, designer-
3 wise, to support us when Reiken came out, He was the top
5 man from Cell, but we always had Bert as design detail
6 supporting in this drawing documentation area.

7 And so he spent time in residence at Edwards to
8 support the RV program, We went back to Bell and stayed an
9 working on the studies that were done out at Houston then
10 to try and upgrade the RV, and he came -- and he was my
11 assistant technical director on the TV program and went with
12 me to Houston and stayed at Ellington until just six months
13 ago.

14 So you see, he's had a hell of a long history and
15 background in the program, and his whole job was to manage
16 configuration control,

17 And Dean ^{Himm} (Grom) relied heavily on him and paid
18 dearly for his services. And Bert's a hell of a guy. He
19 started with Bell the year after Larry Bell started the company
20 in 1934.

21 When he retired six months ago, he was among the --
22 I don't know how many are left there today, but you can count
23 them on one hand, I bet, that have the seniority he has.

24 MR. ERTEL: Yes, I imagine so. It's a long time.

25 MR. OTTINGER: Don Wright is the guy's name that

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5500

1 I was trying to think of yesterday that; was the other assistar
2 technical director that I had, who started two or three years
3 after Bert Adams did, far Bell. Bern with them *for* years
4 and years.

5 I think he retired probably a year ago, But, Don's
6 a salty old guy that -- oh, he was salty. He was good,
7 practical -- could get a job done.

8 *But* In his Last Pew years there, he was so damned
9 salty that he just -- you really had to motivate him.

10 Look at the guppy.

11 There's some pretty good-sized hangars down there.

12 MR. ERTEL: How did you move RV 2 to Houston, and
13 ~~then on a~~ ^{another} basket case. ^{It} never did get ~~put~~ put together

14 MR. OTTINGER: No, RV 2 -- RV 2 was ^{flown} ~~passed~~ here
15 and checked out. I'm trying to think --

16 MR. ERTEL: Taken to Houston and put in the hangar
17 and never put back together, I think. I think they cannibalized
18 some of the parts, didn't they?

19 MR. OTTINGER: Yes, I think it just wound up as a
20 cannibalization victim in Ellington there. The RV electronics
21 had been through an awful lot, and it really wasn't up to
22 snuff as far as LEM controls were concerned.

23 It didn't have all the features and modes and so on
24 built into it. It had a lot of variability for the research
25 program we did out here.

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

1 Don't forget the RV flight test program was not
2 something that was 100 percent just lunar landing things
3 because there were some programs run Por ^{VSTOL}~~V-stall~~ research,
4 They were interweaved on a non-interference basis
5 pretty much, with the lunar landing program. It served as
6 a pretty good ^{VSTOL}~~V-stall~~ tool and because of this, we ~~had~~ a lot
7 of variable stuff built into the system -- into the control
8 system that didn't wind up being put into the TV because the
9 TV was strictly an operational trainer,

10 But at the same time the TV had a lot of updated
11 LEM stuff in it, so in the TV, in one sense, was even maybe
12 even more complicated with additional modes and things of
13 this nature, but less complicated from the standpoint of
14 variability.

15 I think in the end because of the -- actually be-
16 cause of the possibility of LEM changes, we still did make
17 some variability in the TV to keep up with LEM, but not to
18 do research with.

19 So we wouldn't get locked into maybe a LEM con-
20 figuration that got obsoleted. So that --

21 MR. ERTEL: Dean told me --

22 MR. OTTINGER: -- control system, I think, probably
23 had as much to do with, you know, soft-peddling the RV and
24 the operational differences between an RV and a TV and getting
25 a pilot accustomed to certain ways of flying, and having to

change -- hopping back and forth.

2 That was a consideration. The ground crews getting
3 trained, and check that cut and maintain it, and check it out,
4 That was another factor in GSE.

5 And that whole Ellington scene was a fairly good
6 example of the -- having a great big complex picture in mind
7 over here as to what needs to be done *an!* starting out with
8 a very meager shoestring over here, and trying to make that
9 thing grow from one end to the other) and you wind up somewhere
10 In between.

11 And the distance between these two extremes is
12 really far because we started out real meager and you wind up
13 today with a fairly complex operation.

14 MR. ERTEL: *told me that night after* Dean's (inaudible) *or* *present* clobbered
15 that last one in. He asked a few questions *again* about how
16 much it would cost to bring RV 2 **up** to snuff. He'd say
17 \$2 million. (Inaudible.) a few years ago. (Laughter,)

18 It's dead but it's not dead, you know, Dead but
19 not forgotten.

20 MR. OTTINGER: We started Joe's flight for AIAA
21 right across from this fire station. In the middle of the
22 ramp, and he landed down here next to the building, and all
23 that crap was cleared out to those light standards over there

24 The airplanes were all pulled off.

25 There's the old X-1-E mounted. That's the actual

7676 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439-5600

airplane. Okay, Could never eject out of that aircraft

because his knees would have been cut off. He was toil stocky

That cockpit was so tiny.

MR. ERTEL: What have we got here? (Inaudible.)

5 Those old NASA badges. They come in handy *once* in a while,

6 MR. OTTINGER: These are lifters?

7 MR. ERTEL: Okay, well --

8 MR. OTTINCER: It's been quite **an** experience, I

9 must say, going back **through** --

10 (END OF INTERVIEW ON TAPE TWO, SIDE ONE)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

jrd 15

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I hereby certify that the tape recordings represented by the foregoing pages were transcribed by me, or under my direction; that this transcript is a true and accurate record to the best of my ability

METROPOLITAN REPORTING SERVICE, INC.

Judith R. Dovel
Judith R. Dovel

-0-

7575 NEW HAMPSHIRE AVENUE, SUITE 210 • LANGLEY PARK, MARYLAND 20783 • (301) 439 - 5600